

UNITED STATES OF AMERICA
U.S. DEPARTMENT OF COMMERCE
NATIONAL OCEANOGRAPHIC AND ATMOSPHERIC ADMINISTRATION

IN RE: :
:
:
Proposed Waiver and :
Regulations Governing : Docket No. 19-NMFS-0001
the Taking of Eastern North :
Pacific Gray Whales :
by the Makah Tribe : RIN: 0648-BI58 and
: RIN: 0648-XG584
:
:

REPORTER'S OFFICIAL TRANSCRIPT OF PROCEEDINGS
NOAA ADMINISTRATIVE PROCEEDING
HEARING ON PROPOSED WAIVER and RULEMAKING
DAY 5 of 6

Jackson Federal Building
915 Second Avenue
Seattle, Washington
Wednesday November 20, 2019

BEFORE:

THE HONORABLE GEORGE J. JORDAN
ADMINISTRATIVE LAW JUDGE

Also Present:

Heather L. MacClintock, Esquire, Attorney Advisor
Chang Zhou, Esquire Attorney Advisor

Timekeeper:

Joseph Heckwolf, Esquire, Attorney Advisor NOAA

Sally Gessner, Court Reporter

APPEARANCES :

FOR NATIONAL MARINER FISHERIES SERVICE:

U.S. Department of Commerce
Office of General Counsel
National Oceanic & Atmospheric Administration
7600 Sandpoint Way, NE
Seattle, WA 98115

By: Laurie K. Beale, Esquire
Caitlin B. Imaki, Esquire
Rachel Morris, Esquire
Steve Stone
Chris McNulty

FOR THE MAKAH TRIBE:

Ziontz Chestnut, Attorneys at Law
2101 4th Avenue, Suite 1230
Seattle, Washington 98121-2331

By: Brian Gruber, Esquire
Wyatt Golding, Esquire
Marc Slonim, Esquire

FOR MARINE MAMMAL COMMISSION:

4349 East-West Highway, Room 700
Bethesda, MD

By: Michael L. Gosliner, Esquire, General Counsel

FOR SEA SHEPHERD CONSERVATION SOCIETY:

2226 Eastlake Avenue, East #108
Seattle, WA 98102
Sea Shepherd Legal

By: Brett Sommermeyer, Esquire
Catherine Pruett, Esquire
Darius Fullmer, Esquire, Esquire

FOR ANIMAL WELFARE INSTITUTE:

900 Pennsylvania Avenue, SE
Washington, D.C. 20016

By: William Eubanks, Esquire
Elizabeth Lewis, Esquire
Donald John "DJ" Schubert

FOR PENINSULA CITIZENS FOR THE PROTECTION OF WHALES:

612 Schmitt Road
Port Angeles, WA 98683

By: Margaret Owens

I N D E X

<u>WITNESS</u>	<u>EXAMINATION</u>	<u>PAGE</u>
Carrie Newell	Cross - By Ms. Imaki	4
	Cross - By Mr. Slonim	17
	Cross - By Mr. Gosliner	82
	Redirect - By Ms. Pruett	84
Stella Villegas-Amtmann, Ph.D.		
	Direct - By Mr. Sommermeyer	109
	Cross - By Ms. Imaki	135
	Cross - By Mr. Golding	178
	Cross - By Mr. Gosliner	197
	Redirect - By Mr. Sommermeyer	202
	Recross - By Ms. Imaki	204
Margaret Owens	Direct	205
Michael Tillman, Ph.D.		
	Direct - By Mr. Gosliner	219
	Cross - By Mr. Gruber	232
	Cross - By Ms. Owens	235

P R O C E E D I N G S**(Time noted: 9:02 a.m.)**

1 THE COURT: Good morning. Okay. I guess we're
2 back on the record. Again, I just wanted to make sure all
3 parties are here. NMFS?

4 MS. BEALE: Present.

5 THE COURT: Makah?

6 MR. GRUBER: Present.

7 THE COURT: MMC?

8 MR. GOSLINER: Present.

9 THE COURT: AWI?

10 MR. EUBANKS: Present.

11 THE COURT: Sea Shepherd?

12 MR. SOMMERMEYER: Present.

13 THE COURT: And Peninsula?

14 MS. OWENS: Present.

15 THE COURT: Very good. All right. I guess
16 we're -- is our witness here? Oh, okay. You may take the
17 stand. And, ma'am, you've been previously sworn.

18 Please proceed.

19 (Whereupon,

CARRIE NEWELL

20 was recalled as a witness, and having been previously duly
21 sworn, was examined and testified as follows:)

CROSS-EXAMINATION

1 BY MS. IMAKI:

2 Q. Good morning, Ms. Newell.

3 A. Good morning. How you doing?

4 Q. Good. How are you?

5 A. Good. Thank you.

6 Q. Good. For the record, again, Caitlin Imaki on
7 behalf of NOAA Fisheries. So I'd like to pick up where we
8 left off yesterday. We were discussing the Calambokidis
9 2019 paper. And we did review this yesterday, but I'd
10 like to look at it one more time just to orientate
11 everyone where we're at.

12 So this is Table 3 on page 19 of the paper.
13 And, again, this is displaying acronyms for different
14 survey areas. So for Oregon, the area that I believe
15 Ms. Newell is most familiar with, that would be Oregon
16 coast, which is primarily Depoe Bay. Is that correct,
17 Ms. Newell?

18 A. Yes.

19 Q. Okay. Great. So with these acronyms in mind,
20 I'd like to move on to Figure 7, which is at page 41, and
21 review this figure.

22 MS. IMAKI: If you could make it a little bit
23 smaller, Rachel, so we could see the bottom?

24 BY MS. IMAKI:

25 Q. So this table, if you would take a look,

1 Ms. Newell, are you familiar with this particular data?

2 A. Yes.

3 Q. Okay. So, as I understand it, this is the
4 proportion of whales that have been seen at least 2 years
5 in the subregions of the PCFG range, so they're defined as
6 PCFG whales. And they have also been seen in the Makah
7 U&A; is that correct?

8 A. Yes.

9 Q. And this is '96 through 2017. And so is it
10 correct to say, then, that whales from Oregon, which would
11 be the Depoe Bay area, approximately 65% of those whales
12 that have been seen in your region have also been seen --
13 and the thing that's being depicted here is also in the
14 Makah U&A; is that correct?

15 A. Yes.

16 Q. Okay. And it looks like a number of the other
17 subregions, most of them exhibit -- that are seen in those
18 other subregions, most times approximately half or more
19 are also seen in the Makah U&A; is that correct?

20 A. Yes. But there's more to that graph.

21 Q. Okay. Sure. We'll look at some other data as
22 well.

23 A. Okay. Because that's an overly simplistic view
24 of it, and if you -- to really understand more of what's
25 going on with that graph, which I do, I'd like to explain

1 that.

2 Q. Okay. Would you like to look at the graph that
3 we looked at yesterday with the red lines on it? Would
4 that help?

5 A. No. I can first talk to this one.

6 Q. Okay. Well, first, I would just like to -- I
7 just have some questions about this particular graph or --
8 excuse me -- figure. Do you have any reason to doubt the
9 findings that are in this particular figure?

10 A. No. No, Mr. Calambokidis does a great job.

11 Q. Okay.

12 A. But I do have to tell you that the graph, what
13 the graph does show, it shows that, yes, those whales have
14 been sighted in that area, but it doesn't show the
15 magnitude. I mean, if the whale was even sighted only one
16 time briefly, you know, the whale just decides, oh, I'm
17 going to check this out here, the MU&A, went up, looked at
18 it 1 day and came back to the same area. So it doesn't
19 necessarily not show site fidelity, what it does is that,
20 yes, those whales did in fact go to that area, but it does
21 not by any means show the magnitude of sightings that
22 actually occurred in those various areas.

23 Q. Okay. But it does show that they at least
24 visited that area once?

25 A. Visited at least once. That is correct.

1 Q. All right. So I'd like to ask you a few more
2 questions about some of the whales that we reviewed
3 yesterday. And these are the ones that you had identified
4 in your original declaration. And we had a chance to look
5 at those compared with the guidebook that you had provided
6 yesterday specifically as it relates to their Cascadia
7 Research Collective number.

8 A. Okay.

9 Q. And one of those we looked at yesterday, and
10 that was number 204, Scarback, and we reviewed Table 1 in
11 Appendix 1 at page 55. I'd like to look at that one more
12 time. And we already looked at number 204, so we'll skip
13 past that.

14 So I had a chance to look at the book, and as
15 far as I could tell, Ginger was not listed in the book
16 with a CRC number. I didn't find her in the book.

17 A. Right. She's a new whale.

18 Q. A relatively new whale?

19 A. Yes, yes.

20 Q. And Yogi was also not in the book.

21 A. Yes.

22 Q. I did not find that one.

23 A. That is correct.

24 Q. Okay. And Comet I did find, and the number for
25 Comet was 565. And so as we scroll down and look at where

1 Comet was sighted, is it correct this would be -- I have
2 to look closely at this, but by my reading -- if I can
3 find it. It's very difficult to read on the screen. I
4 hope that folks can look at it on their own screens.

5 So 565 was Comet. So it looks like that
6 particular whale, by our calculations, was sighted in 12
7 different years and, if you scroll over to the right-hand
8 side, in four different survey areas, from Northern
9 California to Grace Harbor. Does that sound right?

10 A. Yes.

11 Q. Okay. So that whale was in Depoe Bay but also
12 sighted in these other locations, correct?

13 A. Correct.

14 Q. And then the last whale that you mentioned in
15 your original declaration was Morisa, and I believe her
16 number is 196. So --

17 MS. IMAKI: Sorry, Rachel, for going out of
18 order.

19 BY MS. IMAKI:

20 Q. If we go back up to that particular whale, 196
21 -- so by calculation, and we confirm this on the data, she
22 was sighted 17 years and, over on the right-hand side, in
23 eight different survey areas, from Northern California all
24 the way up to the west coast of Vancouver Island. And in
25 fact, she was sighted 11 years in Southern Vancouver

1 | Island. That would be correct?

2 | A. That is correct.

3 | Q. So would you agree that even these whales that
4 | you've talked about as having extreme site fidelity to
5 | Depoe Bay, have also been found in other areas, then, of
6 | the PCFG range?

7 | A. Yes. Like I mentioned yesterday, they do have
8 | regional preferences. Some of them -- when you talk about
9 | site fidelity, you have to be able to -- like John
10 | Calambokidis talked about numerous times in various
11 | papers, so they have certain areas that they specifically
12 | like to go to, but that doesn't mean that they don't go to
13 | other areas. So they do have specific areas they prefer,
14 | but they also have what we would call regional
15 | preferences, that they check out different areas for, you
16 | know, is there more food in --

17 | Q. Right.

18 | A. -- in a different area?

19 | Q. So they go exploring.

20 | A. Exactly.

21 | Q. Yeah. So I'd like to sort of finish this
22 | conversation by reviewing, once again, Figure 8, which is
23 | on page 42. And this is a figure that we looked at
24 | together yesterday.

25 | So do you recall when you were -- this is the

1 figure with the red bars on it that you pointed out in
2 your testimony yesterday.

3 A. Right.

4 Q. Do you recall that portion?

5 A. Yes.

6 Q. And I believe you referred to some of the whales
7 that had very large ranges on that chart as transient.

8 A. I was -- I wasn't correct when I spoke that.

9 Q. Okay. What did you mean to say?

10 A. Those are just -- because after I had said that,
11 I reread the report last night, and from my recollection,
12 he doesn't include transients in this graph.

13 Q. Okay.

14 A. And so, that was my fault. I misspoke. So, but
15 those -- that is a whale that is not a transient but did
16 have a broad dispersal.

17 Q. Okay. So, and a transient, just for the record,
18 is a whale that is only sighted once within the PCFG --

19 A. Yes.

20 Q. -- range; is that correct?

21 A. Yes. And they have more sightings. This graph
22 is six or more sightings. And so, after I had said it
23 yesterday, I was like, oh, I didn't -- like I didn't mean
24 to say that. And then, but I thought if you brought it up
25 today, I would make the record straight that I misspoke.

1 Q. All right. So, and then just to clarify. You
2 mentioned it, but this figure displays whales that have
3 been sighted at least six or more times, correct?

4 A. Correct. It's pooled data. It's pooled data
5 from the 22 years of six or more sightings, and those
6 sightings --

7 Q. And the red line represents -- I believe it's
8 stated there in the description of the figure -- the 75th
9 inner quartile of the number of sightings, correct?

10 A. And what that actually means is that 75% of the
11 time that whale was found in that locality over a span of
12 22 years.

13 Q. Okay. And what about the light gray lines? Did
14 you explain those yesterday?

15 A. Those are ones that are -- the tiny ones, the
16 dashed ones, is that the --

17 Q. Right. The light dashed lines, what do those
18 represent on this figure?

19 A. That's actually the full range. That's the full
20 range.

21 Q. So it shows all the locations, the latitude that
22 those whales have been sighted over the entire time span?

23 A. Yes.

24 Q. Is that correct?

25 A. That is correct.

1 Q. Okay.

2 A. Yep. You got it.

3 Q. All right. It sounds like we're in agreement.

4 A. Yup.

5 Q. And just one more point on this matter. You
6 mentioned in your declaration that the whale that was
7 killed in 2007 in the Makah U&A was a whale that you had
8 just photographed 2 weeks earlier in Depoe Bay. Do you
9 recall that part of your testimony?

10 A. Yes, I do.

11 Q. And so does that serve as another example of
12 whales being throughout the PCFG range?

13 A. Yes.

14 Q. And I believe you confirmed yesterday with
15 Ms. Pruett that you have not published any peer-reviewed
16 articles on site fidelity as it relates to PCFG whales; is
17 that correct?

18 A. The paper that we had seen does get into site
19 fidelity. We talked about that yesterday.

20 Q. Are you speaking about the paper that you
21 published based on your master's work?

22 A. Yes.

23 Q. But the subject matter of that was the feeding
24 behavior of the whales and the usage of mysid shrimp; is
25 that correct?

1 A. Well, it talked about how these whales were in
2 residence for a certain amount of time, some of them up to
3 85%, and that in fact is site fidelity.

4 Q. Okay. So besides the paper we reviewed
5 yesterday, have you published anything -- I believe you
6 confirmed that you had not published any other --

7 A. That is correct.

8 Q. And I think we should try to be careful for the
9 court reporter so we're not speaking over each other. So
10 I'll try to go slowly. She just has a hard time if we
11 speak at the same time. So I'll try to be careful, too.

12 And I'd like to move on to something you
13 testified about yesterday, that you referred to as cryptic
14 mortality. And you were making some assumptions based off
15 of a couple of whales that have stranded in the PCFG area.
16 Do you recall testifying about this yesterday?

17 A. Yes.

18 Q. And were you able to hear Dr. Moore's testimony
19 earlier in the proceeding about why applying that
20 particular percentage to PCFG strandings is inaccurate?

21 A. No. I was not here. I was working.

22 Q. Okay. So is it safe to say that you're not
23 familiar with how that 4 to 13% number was developed in
24 terms of estimating cryptic mortality?

25 A. Yes.

1 Q. And, Ms. Newell, are you familiar with the fact
2 that the PCFG is surveyed annually?

3 A. Yes.

4 Q. Okay. And so it sounds like then you're aware
5 that we will have survey numbers each year that will help
6 us understand the actual population abundance of the PCFG;
7 is that correct?

8 A. Yes.

9 Q. And yesterday you talked about internal versus
10 external recruitment and said that it was your true belief
11 that internal recruitment was higher than external
12 recruitment. Do you recall that testimony yesterday?

13 A. Yes. And I have seen that with my own eyes with
14 the whales off Depoe Bay. I am by no means an expert, you
15 know, in the rest of the range, but I have been in contact
16 with John Calambokidis, and we have had discussions about
17 this. And he's going to look at my data more and we're
18 going to -- I'm going to look at other data. But I said
19 it's my feeling --

20 Q. Okay.

21 A. -- that's my feeling, we don't -- I mean, in UME
22 years, I think we definitely have an influx of those
23 whales. If you -- like I said yesterday, if you don't
24 have food, you're going to go to an area to find food. I
25 mean, I've seen that all the time. But as far as what the

1 internal recruitment is, I really think from John
2 Calambokidis' paper we talked about yesterday, I think a
3 lot of the -- I mean, the females are teaching the calves
4 where to go. And a lot of times, just like most animals,
5 they are creatures of habit and if they learn that area
6 from their mother, then they will continue to go to those
7 areas. I would be very, very, very surprised if a large
8 number of those calves, they went up to Alaska to feed.
9 But that's my gut feeling --

10 Q. Okay.

11 A. -- just from what I've already seen with my
12 data.

13 Q. And I'm sorry to keep asking this. But you
14 didn't cite any peer-reviewed literature in support of
15 that gut feeling; is that correct?

16 A. Not in my declaration, no.

17 Q. Okay. Thank you.

18 MS. IMAKI: That's all the questions I have at
19 this moment, Your Honor. I would request, though -- we
20 did do our best to review the exhibits we received
21 yesterday around 6 p.m. via email. But given our workload
22 for other matters for this hearing, we were not able to
23 fully review everything. So at this point we would just
24 like to reserve our right to recall Ms. Newell to ask any
25 further questions related to her book during the course of

1 this proceeding, if needed.

2 THE COURT: All right. Very good. Thank you.

3 MS. IMAKI: Thank you.

4 **CROSS-EXAMINATION**

5 BY MR. SLONIM:

6 Q. Good morning, Ms. Newell. My name is Marc
7 Slonim. I'm one of the attorneys for the Makah tribe.

8 A. Good morning.

9 Q. Good morning.

10 A. Nice to meet you.

11 Q. Nice to meet you. I wanted to try to clarify a
12 couple points just quickly up front.

13 A. Okay.

14 Q. First of all, you mentioned you're a professor?

15 A. I am.

16 Q. And then you listed a number of places where
17 you've taught in your testimony. And I think you
18 mentioned Oregon State University?

19 A. Yes.

20 Q. So were you employed as a professor by Oregon
21 State University?

22 A. I was an adjunct professor there.

23 Q. And when was that?

24 A. Oh. I don't have my resume in front of me. It
25 was probably -- I taught in the summer. I taught marine

1 biology. Mid-2000s. Well, I had a -- let me think. I
2 had a grandson that died, and so it was --

3 Q. I'm sorry.

4 A. -- that -- I was teaching there when that
5 happened. So let me -- I think it was 2007; 2006, 2007.
6 I'd have to go back.

7 Q. One or --

8 A. I mean, you can --

9 Q. One or two summers?

10 A. I taught at least -- it was at least two
11 summers.

12 Q. Two summers. Okay.

13 A. Or it was -- yeah, I can't remember.

14 Q. And then your other teaching has been at
15 community colleges; is that correct?

16 A. Yes.

17 Q. Okay. You've been aware of the Makah interest
18 in hunting gray whales at least since 1999; is that --

19 A. That is correct. Uh-huh.

20 Q. And were you aware that NMFS issued a draft
21 environmental impact statement in 2015 regarding the Makah
22 whale hunt?

23 A. You know, I never really looked at that, to tell
24 you the truth. I mean, I've been so busy. I've been out
25 of the loop a little bit with that. So no, I did not look

1 at that.

2 Q. Okay. And so you didn't submit any comments on
3 that?

4 A. I did not.

5 Q. So the written testimony that you submitted in
6 this proceeding is the first time you provided information
7 to NMFS relative to the Makah whale hunt?

8 A. Yes.

9 Q. And that was done after you were contacted by
10 Sea Shepherd?

11 A. I'm sorry. I didn't hear the question.

12 Q. What was -- your submission of written
13 testimony, that was done after you were contacted by Sea
14 Shepherd; is that correct?

15 A. Yes.

16 Q. And you understand that Sea Shepherd is offering
17 your testimony in opposition to any hunting by the Makah
18 tribe; is that correct?

19 A. Yes.

20 Q. I'd like to ask you a few questions just to get
21 a little more background on your research activities, what
22 you've been doing.

23 A. Okay.

24 Q. So what I've heard and saw in your written
25 testimony is that you've been involved in extensive

1 observations of gray whales of Central Oregon; is that
2 correct?

3 A. Yes.

4 Q. And you've taken a lot of photographs of gray
5 whales off Central Oregon?

6 A. Yes.

7 Q. You've collected fecal samples?

8 A. Yes.

9 Q. And you did that as part of your research for
10 your 2006 article and master's thesis?

11 A. Yes. And I continue to do that.

12 Q. That's an ongoing activity?

13 A. Yes.

14 Q. Do you have a permit for that activity?

15 A. I don't encroach the whales more than 100 yards.
16 But what I do, and fecal material a lot of times
17 dissipates rapidly, and so I don't get nearly as many
18 samples as like researchers that do have a permit. But we
19 do at times -- if the whale excretes, I give it time, the
20 whale leaves, and then I go out. And I always have -- I
21 either have a plankton net or someone's baseball cap on
22 board to collect it.

23 Q. Okay.

24 A. And so I'm -- so the times that I collect, that
25 has been as the whales -- the whales are at least 100

1 yards away.

2 Q. Okay. So you wait for the whales to leave?

3 A. I do.

4 Q. And the researchers, like you mentioned Dr.
5 Torres, they'll try to get to the fecal material as
6 quickly as possible to avoid it dissipating?

7 A. Yeah, yeah. She does lot of good stuff. She
8 does great work.

9 Q. Okay. And then, at least on one occasion, you
10 were involved in taking biopsy samples with Mr. Scordino;
11 is that correct?

12 A. I was.

13 Q. Have you done that on any other occasions?

14 A. I was not involved -- I was on boats that did
15 it, but I wasn't directly involved in that. But I was on
16 boats that actually were doing it.

17 Q. When was that?

18 A. Oh, there was a study on humpbacks in
19 California, and I -- I'm sorry, I --

20 Q. Not gray whales?

21 A. No.

22 Q. Okay. And you haven't been involved in any
23 satellite tagging?

24 A. No.

25 Q. And then you've also done research on gray whale

1 prey, both scuba diving and collecting and studying gray
2 whale prey; is that correct?

3 A. Intensely, yes.

4 Q. Okay. Has all of your gray whale research been
5 concentrated off of Central Oregon?

6 A. Yes. Well, I do go down to Baja and I do a
7 little bit -- I do some photo ID stuff down there, and
8 share some of those photographs, too. So I guess
9 technically you could say there's a little bit off Baja,
10 too.

11 Q. How about elsewhere within the PCFG range?

12 A. I'm sorry? I didn't hear you.

13 Q. How about elsewhere within the PCFG range
14 besides Central Oregon?

15 A. No.

16 Q. Okay. And have you analyzed and published the
17 results of your analysis of data you've collected since
18 you completed your master's thesis?

19 A. I did not. And as I mentioned yesterday, I plan
20 on starting to do that this year now that I've retired
21 from teaching. And that's -- high on my list is to start
22 getting a lot more peer-reviewed papers out there.

23 Q. Okay. But so far that hasn't happened?

24 A. That is correct.

25 Q. And do you attend scientific committee meetings

1 of the International Whaling Commission?

2 A. I did one. And I can't remember when.

3 Q. 2007 is in your --

4 A. No.

5 Q. -- CV; does that sound right?

6 A. No. Well -- well, yeah, if it -- I can't
7 remember the exact date. So whatever I have written -- I
8 can't remember the exact date, so whatever was written in
9 there, that's the one I attended.

10 Q. And so none since that, whatever date is that --

11 A. None since then, no.

12 Q. Okay. How about meetings of the Scientific
13 Review Group that is convened by NMFS to review stock
14 assessment reports; have you ever been to those meetings?

15 A. No.

16 Q. Any other meetings of whale biologists that you
17 attend?

18 A. I go to the American Cetacean Society meeting as
19 much as I can.

20 Q. Have you ever presented papers at those
21 meetings?

22 A. I have.

23 Q. When was the last time you did that?

24 A. It was -- I did a -- I actually won a poster
25 award for my research. It must have been about 2005 or

1 | so. And I'm guessing.

2 | Q. And that's the research that's reflected in your
3 | 2006 article and your master's thesis?

4 | A. Yes.

5 | Q. Let me -- I want to ask a little more detailed
6 | questions about the photographs you take.

7 | A. Okay.

8 | Q. In your written testimony at a couple places you
9 | refer to research tours. Do you recall that?

10 | A. The name of my business is Whale Research
11 | EcoExcursion. Like I probably should have put Whale
12 | Research EcoExcursion tours. So that's the -- my actual
13 | name of my business. So --

14 | Q. Okay. So is there a distinction -- do you
15 | distinguish between taking photographs when you're out
16 | with clients on a whale watching trip as opposed to a more
17 | dedicated research trip?

18 | A. I do -- so I do a combination. So when I want
19 | to do transects, those are just usually myself and my dog.
20 | And I would go out either early in the morning or in the
21 | afternoon after I'm done whale watching, and I just -- you
22 | know, I want to go from Point A to Point B and see the
23 | total number of whales and who they are. And so I do that
24 | usually by myself. And a lot of times I'll take my
25 | plankton net and get samples of the mysids.

1 And then when I'm doing my actual whale watching
2 tours, again, as I said yesterday, we stop at a certain
3 area, we find a whale, stop within, you know, so it's 100
4 yards away, and then we sit there. A lot of times we sit
5 there for -- I don't like to stay on a whale more than 30
6 minutes. Not that I've ever seen anything that -- any
7 behaviors that have scared the whale, but, you know,
8 they're feeding, you know.

9 Q. If the whale is moving, will you move with the
10 whale?

11 A. I typically will stay in one spot. If the whale
12 starts moving, I'll let it move and just let it stay in
13 that locality till it gets settled, you know, and then go
14 on from there. I mean, my tours are not only whales, but
15 I'm teaching them about birds, seals, sea lions. So in
16 the time that the whales are moving, a lot of times I'll
17 say, well, let's go see the Steller sea lions now, or
18 let's go see the marbled murrelets or, you know, some of
19 the other species that are there.

20 And then when the whales stop again, I
21 guesstimate 100 yards, and then, you know, sit up on that
22 whale or sit up another whale. I mean, it's not like we
23 only have one whale in the area. I mean, if that one
24 moves, you know, a lot of times there's numerous other
25 whales. I mean, we can have up to 30 whales at one time

1 | in that small area.

2 | Q. And so those trips aren't designed to survey all
3 | the whales in the area. Your goal is to show whales to
4 | your clients, and if you find a whale, you can sit and
5 | watch that one whale?

6 | A. Yeah. So I'm underestimating -- when I'm doing
7 | the tours, I underestimate, you know, the whales that are
8 | in the area. That's why a lot of times I like to do the
9 | transects because I know I'm underestimating them.

10 | Q. And can you give me some sense of the relative
11 | number of transect trips versus whale watching trips?

12 | A. I probably do -- I try to do maybe one or two a
13 | week, if I can. And then depending, again, on how tired I
14 | am and ocean conditions and stuff like that.

15 | Q. And then I believe when Ms. Imaki was asking you
16 | questions, you were going through some numbers about whale
17 | watching trips, and those were four a day, 7 days a week
18 | in the summertime, and two a day, 7 days a week in at
19 | least some of the winter months.

20 | A. Yeah. Although, I have done up to 10 trips a
21 | day sometimes when I'm -- I mean, we get lots of business.
22 | And sometimes I stack the trips and just go nonstop back
23 | to back to back. So I have done more than that. And she
24 | asked me and I just threw out some numbers, some general
25 | numbers.

1 Q. And were those numbers -- were those just for
2 you or is that for your -- you have four boats, right?

3 A. That is correct.

4 Q. So are those numbers just for trips that you go
5 out on or were those for all four of the boats?

6 A. Just myself.

7 Q. Okay. So in terms of your business, it may not
8 be -- are the other boats going out as often as you are
9 going out on your boat?

10 A. Not as often. I mean, depending like if we have
11 trips -- like midday is when people mostly like to go out.
12 And so last summer and the summer before, when I did have
13 four captains total, including myself, we did go out, all
14 four boats, all those times. But I'm the one that goes
15 out earlier, I'm the one that stays out later, because
16 it's my passion. I mean, I love doing it, and I love
17 teaching and I love the people, love the whales.

18 Q. So if we just wanted a sense of the number of
19 trips for the business as a whole, it would be maybe two
20 or three times what you're doing, that four times?

21 A. For me?

22 Q. I'm just comparing -- you know, you've given us
23 some numbers for how often you go out taking whale
24 watching customers. And if I wanted to extrapolate that
25 to your entire business, all four boats, would I take your

1 numbers and double them or --

2 A. So is your question, are you asking with all my
3 other boats?

4 Q. Yes.

5 A. So, yeah, they're probably going out -- they're
6 probably going out maybe three times a day, and I'm going
7 out --

8 Q. And also 7 days a week?

9 A. Seven days a week.

10 Q. Okay. I want to ask you a few questions about
11 your collaboration with Mr. Calambokidis.

12 A. Okay.

13 MR. SLONIM: And Cara, if you could pull up page
14 35 of Mr. Scordino's direct testimony.

15 BY MR. SLONIM:

16 Q. So I want to read from the first full paragraph.
17

18 MR. SLONIM: Can we make it a little bit larger?
19 It might be a little easier. Okay.

20 BY MR. SLONIM:

21 Q. And just the beginning of that paragraph,
22 Mr. Scordino in his testimony said that study
23 collaborators provide all photographs to the staff at CRC
24 after internal review and quality control at the end of
25 their research season, usually sometime in winter. CRC

1 staff review the photographs for quality and then if they
2 are of suitable quality, compare the best photographs of
3 each side of each whale to a photo catalog maintained by
4 CRC of whales previously identified.

5 Do you see that?

6 A. Yes.

7 Q. And does that accurately describe the way in
8 which you collaborate with Mr. Calambokidis in terms of
9 providing photographs?

10 A. He has not gotten all my photographs yet, but I
11 do give him photographs.

12 Q. And do you -- you do kind of an internal review
13 for quality before providing them to him?

14 A. When I have time, I have done that. When I
15 don't have time -- like the last time I gave him a lot of
16 my pictures, I did not have time to go through all of
17 them, and I had a couple of external hard drives. And so,
18 so previous to that -- and there's been some years that
19 I've -- I mean, I still have photographs to give him.

20 Q. Okay. When was the last time you gave him
21 photographs?

22 A. It was probably -- I didn't give them to him
23 last year. I had told him -- I've been in contact with
24 him, and I said that I'd get last year's photographs to
25 him this year. I'm trying to remember. It was -- it's

1 | been a few years. I'd have to actually -- it might have
2 | been 3 or 4. I really have to go back to see, because --

3 | Q. Okay. Let me show you the table that he has of
4 | photographs from different researchers.

5 | MR. SLONIM: So, Cara, can you pull up the new
6 | Calambokidis document, NMFS Exhibit 301.

7 | UNIDENTIFIED SPEAKER: 101.

8 | MR. SLONIM: 101.

9 | UNIDENTIFIED SPEAKER: 3-101.

10 | MR. SLONIM: 3-101. Thank you. This is
11 | Calambokidis et al. (2019). And if we can go to PDF page
12 | 17, Table 1. And then let's rotate that. Let's make sure
13 | that's Table 1. Nope. Go up a few pages.

14 | One more. Okay. And now let's see if we can
15 | make this a little bit larger. One more. If we can --
16 | okay. Good.

17 | BY MR. SLONIM:

18 | Q. All right. So you're -- this is a table showing
19 | the number of sightings contributed by different research
20 | groups from 1996 to 2017; is that correct?

21 | A. Yes.

22 | Q. Okay. And you're the third -- you're listed
23 | third on the table; is that correct?

24 | A. Yep.

25 | Q. Okay. So let me just ask you about a couple

1 | time periods. So from 1996 to 2005, Mr. Calambokidis
2 | doesn't have any sightings from you. So can you -- were
3 | you submitting photographs in those years?

4 | A. To tell you -- if John doesn't have on there,
5 | maybe not. I can't remember when I started submitting
6 | them to him. I know it was right around my thesis time,
7 | which was -- so according to the table, it says no, so --
8 | and I was, I'm --

9 | Q. You were taking photographs in those years; is
10 | that correct?

11 | A. Yes.

12 | Q. But you either didn't submit them or he didn't
13 | use them for some reason?

14 | A. Yes. And I'd have to talk to John about that,
15 | because to tell you the truth, I can't remember back then.

16 | Q. Do you recall any conversations with him where
17 | he had concerns about your photographs?

18 | A. No.

19 | Q. Okay. So then 2006 and 2007, he has 12 and 72
20 | sightings from you. And then the next 4 years, it's 0,
21 | 18, 2 and 0. Do you recall what was going on in those 4
22 | years, 2008 to 2011, that would explain the limited number
23 | of sightings?

24 | A. I think I only had given him a small percentage
25 | of the actual photographs that I had taken. Again, I told

1 | him I thought that -- I was inundated with working two
2 | full-time jobs, and to get -- to really do the pictures
3 | how John would like them to be done, he has a specific way
4 | he likes to have his photographs labeled, and it's very
5 | time intensive. And I like to do it as accurate as I can.
6 | And I started doing a few but I ran out of time. I do
7 | have that data and I've been in contact with him, and I
8 | said, you know, I have all this back data. I said now
9 | that I'm retired, you know, I will fill in those gaps.

10 | Q. Okay. And then he has sightings from you from
11 | 2012 to 2014, and then nothing since 2014.

12 | A. Right.

13 | Q. And I think, as you've said, that's a time issue
14 | for you, you haven't had time.

15 | A. That is correct.

16 | Q. Okay. Do you know whether -- or do you have an
17 | opinion as to whether once you supply your photographs to
18 | Mr. Calambokidis, that will affect his abundance estimate
19 | for the PCFG whales?

20 | A. I'll have to wait to see if -- once I submit
21 | them. I can't surmise one way or the other at this point.

22 | Q. You think you have photographs of whales that
23 | haven't been seen by other researchers?

24 | A. Until I look at my data, I can't say.

25 | Q. Okay. So it may be that all the whales you

1 | photographed have been seen by other researchers somewhere
2 | else and so they're already in the database?

3 | A. Once I look at my data, I'll be able to say yay
4 | or nay.

5 | Q. Okay. Right now you don't know?

6 | A. I don't know.

7 | Q. Okay. I'd like to ask you some questions about
8 | resident whales.

9 | A. Okay.

10 | Q. And for purposes of this discussion, I'd like to
11 | use the definition you have in your master's thesis.

12 | A. Okay.

13 | Q. So, just so we don't switch back and forth
14 | between different discussions.

15 | A. Right, right.

16 | Q. Or different definitions.

17 | MR. SLONIM: And so, Cara, maybe you could bring
18 | that up. That's Exhibit CN-4. And I think it is on --
19 | it's page 19, PDF page 31. Okay. And then under the
20 | heading "Resident Whales," we'll need to scroll down just
21 | a little bit.

22 | BY MR. SLONIM:

23 | Q. You say we identify gray whales as residents if
24 | they (1) return to one of the prey habitats around
25 | Depoe Bay or Newport in succeeding years; (2) spend a

1 | minimum of 2 days in a feeding locality; and (3) exhibit
2 | feeding behavior. Is that correct?

3 | A. That is correct.

4 | Q. Okay. And are you comfortable using that
5 | definition for this discussion?

6 | A. Yes.

7 | Q. Okay. Good. In your written testimony, did you
8 | identify the total number of resident whales you've
9 | observed each year?

10 | A. I'm sorry. Say it again.

11 | Q. In your written testimony, did you identify the
12 | total number of resident whales you have observed each
13 | year?

14 | A. You know, I can't remember. I have my
15 | declaration right here. I assume you have that?

16 | Q. I do.

17 | A. Okay. What page is that?

18 | Q. I couldn't find it.

19 | A. Well, I do talk about my book on number 4, and
20 | -- I do have that information in my book, but I don't know
21 | if I explicitly stated it. I can't remember if I
22 | explicitly state it in my declaration.

23 | Q. And by your book, so if we look at -- the 2013
24 | edition that you provided yesterday, that's the most
25 | recent edition?

1 A. Yes. I'm working on a new one right now.

2 Q. And if we look at the 2013 edition, it will
3 provide for each year the total number of resident whales
4 you observed?

5 A. If you go -- you will have to tease that data
6 out. But on -- not all whales, but on many whales, what
7 I've done is I stated, you know, I saw this whale in this
8 year, this year, this year, this year, and this whale was
9 here for 4 months, this whale was here for other amounts
10 of time. Now I have written this book primarily for the
11 layperson, just to give them an overview of a number of
12 scientific concepts, although many scientists have also
13 utilized the book. So again, the data is in there, but
14 again you would have to tease it out.

15 Q. So --

16 A. And not complete data.

17 Q. Okay. And so when I was looking at it last
18 night, and I'll admit I didn't have time to read every
19 line of every page --

20 A. Right.

21 Q. -- but I -- there's a section of the book where
22 you have gray whale discoveries in 2007, gray whale
23 discoveries in 2008.

24 A. That's right.

25 Q. And in those, there's like a page or two on each

1 year, I frequently saw phrases like some of the whales we
2 saw were or some of the new whales we saw were.

3 A. Right.

4 Q. But I didn't see anything that said the total
5 number of whales we saw this year. Is that in there
6 someplace and did I just miss it?

7 A. Like I said, not explicit totals, but I have --
8 when you get descriptions of each individual whale, you
9 know, I think we -- I don't have my book up here right
10 now, but -- thank you.

11 UNIDENTIFIED SPEAKER: Oh, you're welcome.

12 THE WITNESS: So let me just -- so on some
13 whales -- let's take, for example, Ice Cap, page -- he's
14 on 108, 109. Now I haven't seen Ice Cap for a few years
15 now, but I'll say -- for example, Ice Cap, first saw him
16 in July of 2008, and then I talk about he came here for 2
17 months in 2009, over 4 months in 2010, also showed up in
18 2011 and 2012. So that gives an overview of, you know,
19 when some of these whales are in the area.

20 My Excel spreadsheets, which I have more of the
21 scientific data on, will address that in much more detail.
22 But this is, again, for the layperson.

23 BY MR. SLONIM:

24 Q. So that information doesn't tell us how many
25 resident whales you observed in 2008 or 2009?

1 A. No.

2 Q. Okay. And we don't have the Excel spreadsheets?

3 A. No.

4 Q. Okay. How would you characterize the trend in
5 the annual number of resident whales you've observed? Has
6 it been stable, increasing, decreasing, fluctuating with
7 no trend? How would you characterize it?

8 A. Well, again, without totally looking at my data
9 -- I'm just going to go off the cuff on this -- I would
10 say -- well, 2005, I documented that that was a very poor
11 year because it was an El Niño year, and numbers seem to
12 have -- and, again, I'm going to have to analyze my data
13 to be a hundred percent on this answer, but data seemed to
14 say they're about the same.

15 Sometimes, like this year, numbers in June were
16 a lot lower than many of the other years. I mean, we were
17 kind of afraid because the whales -- we weren't even
18 starting to get numbers of whales until mid-July. And, I
19 mean, we were hunting, you know, searching large areas in
20 June to even find a whale. And that was atypical, because
21 normally we have a few whales in June. I mean, more than
22 a few, like, you know, maybe 6, 8, 10. And I remember
23 this year it was lower because it was hard to find a whale
24 in June.

25 Q. And then how many did you see later in the

1 | summer?

2 | A. Numbers were not as high as they have been.
3 | Say, for example, 2004 was an excellent year. 2005 was a
4 | terrible year. 2006, '7 and '8 were good years, and then
5 | it kind of flattened out to some extent. And then the
6 | last couple of years, I mean, was -- numbers were lower
7 | this year than they were the last 2 years. And again, I
8 | haven't been able to actually --

9 | Q. Can you just tell me what the numbers were this
10 | year?

11 | A. Okay. Off the top of my head, I would say in
12 | June this year we had maybe half a dozen different whales.
13 | July of this year we probably had probably 20 different
14 | whales. August, a little better -- and again, these are
15 | rough numbers -- maybe 25. And then normally, normally
16 | the beginning of September is our absolute best time. I
17 | mean, we have numbers ranging from 25 to 30 whales per
18 | trip. We did not approach those numbers this year. We
19 | were only in -- 22 is the highest number that I recollect,
20 | and that was only 1 day. We just didn't have the numbers
21 | this year that we've had in other years.

22 | Q. Are those numbers similar to 2010?

23 | A. 2010, can I remember 2010? You know, I do not
24 | remember 2010. I remember the last 3 years.

25 | Q. Do you remember in your guidebook talking about

1 | only two whales being around in June and July and then
2 | more showing up September, October?

3 | A. Right.

4 | Q. Does that sound familiar?

5 | A. Yeah, yeah. If I wrote it down -- that's why I
6 | have to write things down.

7 | Q. And that's similar to what you've seen this
8 | year?

9 | A. Yeah, just not the numbers this year, not the
10 | numbers.

11 | Q. Other than calves, do you ever observe new
12 | resident whales in the Depoe Bay or Newport areas that you
13 | haven't previously observed?

14 | A. Yes.

15 | Q. And does that happen fairly often?

16 | A. It happens later in the season. I had mentioned
17 | yesterday what I feel is happening, and I've asked
18 | Mr. Calambokidis about this, I said, you know, John, I
19 | said, what I tend to see is we're getting these whales
20 | that I don't recognize in September. I said, you know,
21 | some of our regulars are still around, but, you know, then
22 | we're getting -- I'm getting these new ones I just don't
23 | recognize. I said, my guess, and I haven't compared your
24 | data, but my guess is that there are a number of whales
25 | that have left, say, Vancouver Island, you know, northern

1 | whales that are progressively moving down ultimately to
2 | the breeding lagoon. I said, do you think that's
3 | feasible? He said, oh, I think you're absolutely correct
4 | with that, Carrie. So these are whales that --

5 | Q. Do you ever -- I'm sorry. Do you ever see new
6 | whales earlier in the season?

7 | A. Not very often. Once in a while.

8 | MR. SLONIM: Can we look at Ms. Newell's
9 | guidebook? Do you have that? The one we received
10 | yesterday.

11 | BY MR. SLONIM:

12 | Q. And then can you go to PDF page 42. There's a
13 | reference to a new whale, and you may find it before I do.

14 | A. Arrow?

15 | Q. Yes. And when did Arrow arrive?

16 | A. Arrow, let me -- okay. Arrow was first
17 | identified off Depoe Bay in July of 2006, and was seen
18 | again in 2007.

19 | Q. Okay. So before that southern migration that
20 | you were talking about?

21 | A. I'm sorry. What?

22 | Q. July would have been before the southern
23 | migration phenomena that you were talking about?

24 | A. Yes. I said I saw some. I mean --

25 | Q. Let's go PDF page 43. There's also references

1 | to new whales from 2007, and again, you might find them --
2 | oh, if we look on the left-hand column just below the
3 | picture, it refers to some of the new residents including
4 | Raptor and Wishbone. Do you see that?

5 | A. Yep.

6 | Q. And do you know when they were first seen?

7 | A. Let me look in my book. Raptor was later in the
8 | summer of 2007.

9 | Q. And did he return, he or she return in a later
10 | year?

11 | A. Yes.

12 | Q. Let's go to PDF 45. And again, there's
13 | references to some new whales. Left-hand column below the
14 | picture, one of the new whales named in 2009 was Wilson.
15 | Do you see that?

16 | A. Yes.

17 | Q. And when did he arrive, or she?

18 | A. Okay. Let me look that up. Wilson I named
19 | because of Tom Hanks; he has a big white spot. And so,
20 | Wilson was identified in 2009.

21 | Q. Do you have a month?

22 | A. July. July of 2009. And that's a whale that I
23 | had only seen a couple of times. That was one that
24 | doesn't consistently come back.

25 | Q. But met your definition of a resident whale?

1 A. Pardon?

2 Q. Met your definition of a resident whale?

3 A. Met my definition of a resident whale but is not
4 -- came back another year, so a couple of years. But I
5 haven't -- I mean, this is an easy whale to identify; a
6 huge white spot -- but have not -- this is not, I'm going
7 to call, a regular whale.

8 Q. Let's look at PDF 46. These are new whales seen
9 in 2010. Let's see if we can find them. On the right-
10 hand column towards the top, the end of the paragraph, new
11 whales were Angel Wings, Jersey, Schooler, and Buckshot.
12 So you have four new whales in 2010. And I'm assuming
13 they came late in the season --

14 A. Yeah, they came --

15 Q. -- since that's when most of the whales came
16 that year?

17 A. Yeah. Those were late whales.

18 Q. And did they come back in later years?

19 A. Jersey, as I recollect, Jersey did not. I can
20 look them all up, but -- let me see. Where are you seeing
21 that? Oh, right there.

22 So Jersey was a whale that I did not see again.
23 So that may be -- now that we're learning more, that may
24 be one that, you know -- I don't think -- maybe I saw him
25 one other year. I can't remember.

1 Q. Have you done an analysis to go back and try to
2 identify the number of new whales you saw each year and
3 look at when they arrived and whether you saw them in
4 later years?

5 A. Not for all the whales. I've done them for
6 some, but I have thousands and thousands and thousands of
7 pictures. So, once again, that is something that I will
8 be doing because that's part of the data I'm going to
9 include in this paper I'm going to be writing.

10 Q. We don't have that available to us at this
11 point?

12 A. No. I am so sorry.

13 Q. Okay. And then just one more. If we could go
14 to PDF 49? This is 2012, and was Blanco a new whale that
15 year or he or she present previously?

16 A. Let me look Blanco up. That whale liked teasing
17 my dog all the time, if you look at the pictures. That was
18 -- he's such an awesome whale. And I'd see him many,
19 many, many times. He's a regular. So I first identified
20 him in 2012.

21 Q. As a calf?

22 A. No, no. He was -- he came in that year in --
23 our summer on the -- I call them summer residents. It's
24 the same thing as PCFGs. So he came in, and a lot of
25 mating behavior takes place, a lot of courtship. You

1 know, I've seen -- every month in the summer, I've seen a
2 lot of courtship and the Pink Floyds and other stuff going
3 on. And he would come and he would go after the females.
4 I mean, he would go after a female that was feeding, and I
5 know --

6 Q. You described all this in the guidebook, don't
7 you?

8 A. Yeah, yeah.

9 Q. Okay.

10 A. And he -- and they would ditch him. And so, so
11 I remember that year, because he was being ditched by
12 many, many whales, female whales.

13 Q. Okay. It's PDF 49, for anybody who's
14 interested, all the details.

15 A. Sorry. I just get excited about --

16 Q. No problem.

17 A. -- some of these whales, so --

18 Q. Now you also saw a new female and a calf that
19 year; is that correct? It's right at the beginning of
20 that description.

21 A. Oh --

22 Q. Right where the cursor is. Top left.

23 A. Okay. Yes. And I don't think -- that was just
24 one in passing, and as I recollect from that, saw a female
25 and a calf, but just went through the area. So I have no

1 data on that, but just went through the area.

2 Q. And then you have a calf that showed up without
3 a mother that came to the area on its own; is that
4 correct?

5 A. Yeah. I think that Ying Yang, is that -- let's
6 see. Where are we at?

7 Q. It's right below the discussion of the female
8 and calf.

9 A. Yeah, yeah, that was Lucky. We talked about --
10 yeah, Lucky, a very young whale, very young. That's the
11 one I had shown -- I think I showed you that one with the
12 killer whale tooth -- with rakes on it.

13 Q. Okay. And you've seen that whale in subsequent
14 years?

15 A. Many times. Many times.

16 Q. And it arrived without being led to the area by
17 its mother; is that correct?

18 A. It came to this area as a young whale. It could
19 have been a 2-year-old. It was a young whale. It was --

20 Q. Oh, okay. So when you refer to it as a young,
21 friendly calf, that's not necessarily meaning it was a
22 calf?

23 A. Well, it appeared young. I would guess that it
24 was a 1- or 2-year old whale. I mean, it's -- you know,
25 I've been out with these whales many times, and I'm fairly

1 | good at guessing male/female, juveniles, but, you know, if
2 | I take one that is 2, maybe it could be 3, you know,
3 | possibly even 4, if it doesn't grow as fast.

4 | This little whale appeared small, but sometimes,
5 | you know, sometimes a 2-year-old whale can be the size of
6 | a calf and it just doesn't grow as fast. I mean, I called
7 | it a calf because it was -- it appeared to be small, but
8 | again, unless we actually measured it, I mean, it could
9 | have been a 2-year-old. I mean, and it could have -- I
10 | don't know when the mother left. I mean, the mother could
11 | have got killed with -- in an attack. You know, it could
12 | have gotten killed just shortly before I saw the whale. I
13 | don't -- I haven't seen what led up to the attack with
14 | this younger whale.

15 | Q. Now, in your written testimony you don't
16 | identify the number of resident whales that you observe
17 | each year that were observed for the first time and how
18 | many were returning whales, do you?

19 | A. No.

20 | Q. And you don't identify how many years you've
21 | observed each resident whale since it was first sighted,
22 | do you?

23 | A. I do not -- I did not do that in my declaration,
24 | no.

25 | Q. Do you observe some resident whales in some

1 | years but not other years?

2 | A. Yes.

3 | Q. And in your testimony you didn't identify how
4 | often that occurs or how many years elapse between
5 | observations?

6 | A. No.

7 | Q. Have you previously observed resident whales
8 | that have not returned to Depoe Bay or Newport in the last
9 | 3 or more years?

10 | A. There are a few, yes.

11 | Q. And did you identify the number of whales that
12 | you previously observed but haven't seen in the last 3 or
13 | more years?

14 | A. Have I -- please, say again?

15 | Q. Sure. In your written testimony, did you
16 | identify the number of resident whales you have observed
17 | that have not returned to the Depoe Bay or Newport area in
18 | the last 3 or more years?

19 | A. I don't believe I talked about that.

20 | Q. Now in your written testimony you did mention
21 | how long certain specific whales were present in the Depoe
22 | Bay or Newport area in certain years; is that correct?

23 | A. Since I -- I literally wrote this up late one
24 | night and finished it the next day, because it's right in
25 | the middle of my busiest part of the season. I just -- I

1 | didn't have time to gather any data, didn't have time to
2 | attach any articles, and as I mentioned yesterday, I mean,
3 | I just -- I was scrambling. And, I mean, I wasn't even
4 | sure I could even do any of this. So I went -- when I
5 | talked about those whales, that was knowledge that I had
6 | from right there from that summer, because those are
7 | whales that were there right then.

8 | Q. Now you know that other whales are present in
9 | Depoe Bay for much shorter periods of time; is that
10 | correct?

11 | A. So I'm going to call the residency period of the
12 | whales as variable depending on the specific individual.
13 | Some of them tend to stay at certain sites for months at a
14 | time. Other whales will only stay, say, a couple of weeks
15 | and then move on. So it actually depends on the
16 | individual. It depends on the amount of food that's
17 | available that year. There's a number of factors that
18 | come into play when you think about, you know, how many
19 | whales do you have, where are they at, how long do they
20 | stay? There are, luckily, certain areas in Depoe Bay that
21 | are quite consistent with the mysid shrimp prey, and so
22 | they are repeatedly used by a lot of times the same
23 | whales.

24 | Do these whales move off at times and then come
25 | back? Yes. Do some of them stay at the same areas pretty

1 much nonstop? Yes. So there is a lot of variability, and
2 that's -- and I am so glad you asked me a lot of these
3 questions, because in the paper that I'm going to be
4 writing up this winter, you're giving me great ideas what
5 to address. So thank you.

6 Q. Great. So with respect to the whales that are
7 present for shorter periods of time, are there some that
8 are only present for 5 or 10 days?

9 A. Yes.

10 Q. And you didn't mention that in your written
11 testimony, did you?

12 A. No.

13 Q. In your master's thesis you have a figure that
14 shows the duration of residency for whales for a number of
15 years. Do you recall that?

16 A. Yes.

17 Q. And the largest cohort each year are the number
18 -- are the whales that only stayed 5 to 10 days; is that
19 correct?

20 A. I'd have to go back and --

21 Q. Okay. Let's take a look at it.

22 A. Yeah.

23 Q. The master's thesis is Exhibit CN-4. And I'm
24 looking for page 65. I'm not sure it's going to
25 correspond with the PDF page, but let's try that.

1 One more. Good.

2 So this is has residency of whales for 2003 to
3 2008, and shows days of residency?

4 A. Right.

5 Q. And so the first column in each of those tables
6 is whales that were present for 5 to 10 days; is that
7 correct?

8 A. Yes.

9 Q. And that appears to be the largest cohort each
10 year?

11 A. That is correct.

12 Q. Okay. But that -- you didn't mention that in
13 your testimony?

14 A. I did not.

15 Q. Does your testimony present any information on
16 where the resident whales that you have observed go when
17 they're not in the Depoe Bay or Newport area?

18 A. I don't have that data. Like we talked about,
19 my area of expertise is Newport and Depoe Bay, primarily
20 Depoe Bay now. So once they leave the area, I am not sure
21 where they go.

22 Q. There is information about that in the
23 Calambokidis reports; is that correct?

24 A. Yes.

25 MR. SLONIM: Can we go back to Calambokidis

1 2019? And that's Exhibit 3-101. And can we look at Table
2 8 on PDF page 24.

3 That's 21. There we go.

4 BY MR. SLONIM:

5 Q. Are you familiar with this table?

6 A. I am.

7 Q. And so this shows interchange of whales across
8 regions for the entire study period; is that correct?

9 A. Yes.

10 Q. Okay. So on the left-hand column we have
11 different regions, and also on the top row we have
12 different regions; is that correct?

13 A. Yes.

14 Q. So whales -- is this -- if I'm reading this
15 correctly, whales that have been sighted in Oregon, which
16 is the Depoe Bay area, Central Oregon, have been seen from
17 California to Kodiak Island; is that correct?

18 A. So if you look -- so go down to the very bottom
19 where it says 153. So if you -- that number, 153, now if
20 you go to the left, and see where it says 6?

21 Q. Yeah.

22 A. And -- thank you. So here -- okay, so 153 total
23 sightings. I mean, just -- like 6 is just they saw them
24 one time. It doesn't, again, get into abundance or
25 anything. It's like we saw them, we saw them in that

1 | locality. They may only have stayed 1 day. They may have
2 | stayed 5 months. We don't know. This table doesn't say
3 | that.

4 | What this table does say is that of 153 whales
5 | that were seen in Kodiak, if you look here, you see the 6
6 | and you go straight up here, you will see that 6 of those
7 | whales went all the way up to Kodiak Island.

8 | Q. Those are six whales that were seen off Depoe
9 | Bay that went as far as Kodiak Island?

10 | A. Yeah. And that could have been just up/down,
11 | you know, one quick sighting of them.

12 | Q. And 100 of the whales seen off Depoe Bay were
13 | seen off of West Vancouver Island, 103?

14 | A. So yeah, if you go West Vancouver Island, yes.

15 | Q. And then 121 were seen off South Vancouver
16 | Island?

17 | A. South Vancouver Island, yep.

18 | Q. Okay. And going the other way, northern
19 | California, 124 of the whales seen in Oregon were also
20 | seen in northern California? So if you go, on the Oregon
21 | row -- yeah, and then go left. There.

22 | A. Yes.

23 | Q. Okay.

24 | A. Yep.

25 | Q. Okay. Let's --

1 A. And those, again -- again, you have to think --
2 when whales are moving south, again, your data's going to
3 be a little bit biased. I mean, I think it's, you know,
4 they go north, but then you have to keep in mind that, you
5 know, most of these whales are heading down to Mexico.
6 I'm not going to say all, but most of them are heading to
7 Mexico.

8 So you would think that the numbers south, you
9 would get higher numbers because as they're going down --
10 and they're still hungry. I mean, because, you know, they
11 eat for approximately 4 to 6 months, and then they're
12 going to fast. So that would make sense, as they're going
13 down south you would, you know, get a sighting of more
14 whales because they're already heading south. I mean,
15 this is just --

16 Q. We have about the same number off of Vancouver
17 Island; is that correct, going north?

18 A. Yes.

19 Q. Okay. Let's look at the famous Figure 8, PDF
20 42, maybe one last time. I can't promise you. Somebody
21 else may want to know about it.

22 Is this -- that's what I want.

23 Okay, this -- we've looked at this before, and I
24 just wanted to add one more point about this. What is the
25 approximate latitude of Depoe Bay?

1 A. Depoe Bay is 44.

2 Q. Okay. Can you show me where that is on the map?

3 A. So we're looking, we're looking about right
4 here.

5 Q. Okay. And do you see any whales at that
6 latitude that have a 75% inner quartile of less than 1
7 degree of latitude?

8 A. This would be -- doesn't look like it.

9 Q. Okay. And 1 degree of latitude is 60 nautical
10 miles; is that correct?

11 A. That is correct.

12 Q. So, at least according to this figure, all whale
13 sightings off Depoe Bay are for whales that have a 75%
14 kind of home range of at least 60 nautical miles?

15 A. Yes.

16 Q. And some quite a bit more than that?

17 A. Yes.

18 Q. Okay.

19 A. But this is again sightings, not numbers. This
20 is sightings. So just to clarify that, it doesn't get
21 into the magnitude. It's just a sighting.

22 Q. But it concentrates 75% of the sightings into
23 the red bars.

24 A. And I -- and when John and I have talked about
25 this, he said it doesn't exclude that there isn't site

1 | preferences because it's just about the --

2 | Q. Absolutely.

3 | A. It's just about sightings, not the magnitude.

4 | Q. Absolutely. In your -- I don't think anybody's
5 | asked you about this, but the video that you're in with
6 | the Cousteau crew?

7 | A. Right.

8 | Q. They did kind of a documentary on gray whales
9 | and the migration and you're featured in one segment of
10 | that video; is that correct?

11 | A. Yes.

12 | Q. And you talked about Scarback in that video,
13 | right? And you also talked about Scarback in your
14 | testimony yesterday, I believe.

15 | A. Yes.

16 | Q. And you indicated that whale was wounded
17 | sometime between 1985 and 1987, correct?

18 | A. According to Dr. Bruce Mate, that's what he has
19 | said to me.

20 | Q. And what is his theory about the cause of the
21 | wound?

22 | A. What he said to me is that he thinks it was an
23 | exploding harpoon. That's --

24 | Q. And where would that have taken place?

25 | A. People have asked me that. We're not sure.

1 | There's guesses, but we don't know for sure. I'm asked
2 | that question all the time. I said we really don't know.

3 | Q. Was there any hunting of gray whales going on in
4 | the mid-'80s?

5 | A. Up in -- up north there was.

6 | Q. The Russian hunt?

7 | A. Yes.

8 | Q. That's the only one we know about it?

9 | A. So, yeah, I don't know for sure. I cannot say.
10 | I tell people I don't know. That's -- and I don't. We
11 | just know she has that huge wound.

12 | Q. Your guidebook has pictures of whales with a
13 | variety of wounds. Scarback may be the most extreme --

14 | A. Yes.

15 | Q. -- but you have pictures of whales with wounds
16 | from killer whale attacks, boat propellers, satellite tag
17 | wounds, and other injuries; is that correct?

18 | A. Yes.

19 | Q. Would you -- do you think those injuries are
20 | more serious than the injuries that would result from the
21 | nonlethal aspects of the Makah hunt?

22 | A. It depends. If -- it depends upon where the
23 | whale was hit and the amount of trauma that was done upon
24 | the whales. I mean, Scarback, again -- it's not going to
25 | be as extensive as Scarback. But we don't know for sure,

1 | I mean, until that happens.

2 | So something -- something that I was thinking
3 | about, Dr. Leigh Torres is doing a lot of great fecal
4 | sample studies, and one of hers is looking at the stress
5 | hormone cortisol. So, I mean, that would be something
6 | that, you know, is like if it was hit -- I mean, we're
7 | learning more every year, as you well know. I mean, we --
8 | we're learning things by leaps and bounds. But, you know,
9 | if a whale did get hit now, and you could collect an
10 | opportunistic fecal sample and, you know, say, you've had
11 | a fecal sample before that whale was hit and after, right
12 | after it was hit, and you could see the rise in stress
13 | hormones. Now would that cause issues, say, if it was a
14 | pregnant female? Maybe, maybe not. Do we really know at
15 | this point? We do not. I mean, we can surmise --

16 | Q. So you don't know or you don't have an opinion
17 | as to whether a strike that didn't penetrate the whale's
18 | skin would have a greater or lesser impact than a killer
19 | whale attack or a boat propeller that penetrated the skin
20 | and created a scar? You just don't know?

21 | A. I do not.

22 | Q. Okay. In your guidebook you mention a whale
23 | that was cut by a propeller from a boat and you were able
24 | to watch the wound heal over the next several weeks.

25 | A. Yes.

1 Q. So that whale, after being struck by the boat
2 propeller stayed in the area and continued to feed?

3 A. Yeah. It was not -- it was just a very
4 superficial cut, but at least I could watch as it healed
5 over time.

6 Q. It was approached by -- must have been
7 approached by a boat to be cut by the boat.

8 A. Yeah, I was quite upset. The boat actually went
9 right over the whale. And, I mean, the boat saw the whale
10 and -- I was not happy.

11 Q. In your written testimony when you were talking
12 about if that's a disturbance on whales, you didn't
13 mention that example, did you?

14 A. I don't think I had -- I talked about it, but I
15 don't think I talked about it in my declaration.

16 Q. And then with respect to Dr. Torres' research,
17 she is concerned with potential stress from whale
18 watching; is that correct?

19 A. She did publish something about that, yes.

20 Q. And that's part of what she's looking for in her
21 fecal sample collections now?

22 A. Not as far as I know, because she is -- that
23 work was done maybe 3, 4 years ago. And I questioned her
24 about that because we had some discrepancies about that,
25 and I said -- because she mentioned in a report, she said,

1 | oh, 11% of the time, you know, the whale is stressed. And
2 | I called her out on that, and I said, you know, I said,
3 | you can't say that. As a matter of fact, one of her grad
4 | students had said to me, and said, you know, we had to put
5 | some figure down, some percentage, and that's what her
6 | grad student told me. And then when I questioned Leigh
7 | more about that, then she says, well, yeah, I know when
8 | they're just sitting and not moving and they're actively
9 | feeding that's -- there's no disturbance, but she said
10 | that number really was when they're traveling. You know,
11 | if they're traveling and then there is -- you know, she
12 | thinks there's disturbance then.

13 | And I said, well, Leigh, you know, the way you
14 | wrote it up, you know, it's kind of biased how you wrote
15 | that. And so we've gone back and forth on that. Because
16 | it's --

17 | Q. Okay.

18 | A. The passive whale watching is one thing, but if
19 | you're actively approaching a whale, and I've seen this, I
20 | mean, I've seen this more like -- like we have rules that
21 | we can't -- we got to follow and we can't do. You know,
22 | researchers get permits, and of course they can do take,
23 | they can harass the whales more because they are allowed
24 | to do that with a permit. And so, so when I see an
25 | article saying if you're passively whale watching versus,

1 | you know -- like scientists get great data, but at the
2 | same time that is a form of harassment, that is a form of
3 | take. And so you have to really view it on two different
4 | points there.

5 | Q. So Dr. Torres has been collecting fecal samples
6 | off of Depoe Bay recently; is that correct?

7 | A. I believe she was. I know there was another guy
8 | that was doing some this summer, too. So she -- the only
9 | time -- I haven't seen her much this summer, because where
10 | I'm at -- she's I think more south. And so very seldom --
11 | I think I only saw her maybe twice this year.

12 | Q. And have you talked to her about whether her
13 | work is disturbing the whales?

14 | A. I really, I haven't really seen that, so I
15 | haven't --

16 | Q. You haven't -- what haven't you seen?

17 | A. Like I said, I only saw her twice this summer
18 | and she was off Cape Foulweather. And so I haven't
19 | actually gone up to her. We talked in passing. I said,
20 | how's it going, you know, just some chit-chat. But I
21 | haven't had a talk with her as far as that specific
22 | statement. Because as I mentioned the other day that the
23 | person I did see, that was just a random guy who was doing
24 | some research with a school and I was like, ew. So --

25 | Q. So in what you have seen of Dr. Torres, have you

1 | ever observed whales being disturbed by her work?

2 | A. I'll put it this way. I got phone calls from --
3 | she has RIBs, Zodiac, and I have RIBs, and one other
4 | company has RIBs. And when she was actively getting
5 | photographs of the whales, she wanted to get a good
6 | photograph and so she would approach them quite close. So
7 | we got a lot of calls from people in Depoe Bay saying why
8 | are we chasing the whales. You know, that whale is -- you
9 | could tell it's scared, it's moving away.

10 | And she was -- like, when she was in Depoe Bay
11 | and off Cape Foulweather, again, she -- you know, she has
12 | the permit to do it. But she would come quite close, and
13 | I remember one specific day we got so many phone calls,
14 | you know, like you can't be chasing the whales, you know,
15 | you're scaring the whales. Because in Depoe Bay they're
16 | like 30 feet off the shore. And she's like following them
17 | like super close, like right on them. And so then we had
18 | to call back with like, that's not us, you know, we don't
19 | have that orangish-red boat. That's not us. And then we
20 | got -- then we'd get more phone calls. It's like, that's
21 | not us; we have different colored boats. They're doing
22 | research. That is not us.

23 | So I actually had the NMFS guy down there, and,
24 | you know -- because he got calls. And then I talked to
25 | him. It's like -- he says, yeah, he says, I watch you

1 | guys like a hawk. And he said, you're doing fine, but he
2 | says, I do realize it was not you guys that were harassing
3 | the whales, you know, it was, you know, when they're
4 | trying to get the good photo ID shots.

5 | So that was some of the -- I mean, when you have
6 | a whale watching business, and then someone's trying to do
7 | research at the same time, it can cause conflict. Just
8 | like I mentioned when the whales are trying to be
9 | satellite tagged right in front of Depoe Bay. I mean, you
10 | know, how the public is. I mean, you know, if they don't
11 | understand totally what's going on, you know, blah, blah,
12 | blah, blah. So --

13 | Q. So did you have a discussion with Dr. Torres
14 | about that?

15 | A. I mentioned it to her, yeah. And that's why --

16 | Q. What did she say?

17 | A. Well, I think that's why now she's doing most of
18 | her -- more of her research down south so she's not right
19 | in front of Depoe Bay where thousands of people can see.

20 | Q. And did the whales that were involved in that
21 | incident leave the area?

22 | A. They left the area for a while.

23 | Q. How long is a while?

24 | A. I know it was about -- I remember the one
25 | specific time probably 3 days, and the whale did come

1 back.

2 Q. You're talking about one whale?

3 A. Well, the whale in particular from the encounter
4 I remembered where we got --

5 Q. Okay. I thought there were 30 whales in the
6 area?

7 A. Well, that's the most whales. I mean, I wish
8 there'd be 30 whales all the time. But as I mentioned
9 earlier, it varies from 1 to 30.

10 Q. So when she was doing this there was only whale
11 there?

12 A. Well, the one whale she was chasing. I mean, if
13 you're not -- as Jonathan mentioned, if a whale -- if the
14 whale is not targeted -- I don't know if the disturbance
15 would be as great on that whale like if you're -- if you
16 go and do something to one whale, you know, the whale
17 might not say, oh, yeah, you know, I've been hit; you guys
18 better leave. So that one whale that has been harassed or
19 disturbed or, you know, had a strike or whatever, that
20 whale probably will be leaving the area.

21 Q. And do you know where Dr. Torres' whale went for
22 those 3 days?

23 A. It headed south. And I left it -- after one of
24 the other trips that I came back --

25 Q. I'm just asking about that one whale.

1 A. I'm just talking about the one whale.

2 Q. Okay.

3 A. Yeah. So it headed south after she had gotten
4 pictures, was heading south. And then we did go out on
5 the next trip and I had seen that whale and it was still
6 in traveling mode. So it disrupted the feeding. It was
7 leaving the area. I don't know how far south it went. I
8 just know it was heading south.

9 Q. And then returned.

10 A. Three days later it returned.

11 Q. Okay. I want to ask some questions about the
12 portion of your testimony about --

13 THE COURT: Okay. Counsel, we're reaching the
14 point where we take a -- normally we take a break at this
15 time since -- we'll take about a 10-minute recess and then
16 we'll resume --

17 MR. SLONIM: Okay.

18 THE COURT: -- so everybody a chance to take a
19 break.

20 MR. SLONIM: Perfect. Thank you.

21 THE COURT: All right. Thank you.

22 **(Off the record from 10:36 a.m. to 10:47 a.m.)**

23 THE COURT: I guess we're ready to go back on
24 the record.

25 MR. SLONIM: Thank you, Your Honor.

1 BY MR. SLONIM:

2 Q. Ms. Newell, I want to ask a few questions about
3 the removal of a PCFG whale from the population as a
4 result of the hunt. Is it your testimony that if a PCFG
5 whale was removed as a result of the hunt that the
6 remaining whales would be unable to locate the food
7 sources that had been previously utilized by that whale?

8 A. Whales, the mothers teach the calves where the
9 best localities are. So, and whales -- we don't know for
10 sure how whales find the swarms of mysid shrimp. That's,
11 I mean, that -- whoever finds that out is going to get
12 huge amounts of grant money because we don't know how they
13 find it. I mean, it could be that cultural history.

14 So, I mean, whether or not will that area still
15 be utilized by another whale, if there's enough food, we
16 would assume so.

17 Q. Are you aware of any large, dense mysid
18 populations in Depoe Bay that are not exploited by gray
19 whales?

20 A. I have not dove every single locality. The
21 localities that I have seen, there are areas where I know
22 there are mysids and sometimes I wonder why there aren't
23 whales there. But I've not dove those areas, but I have
24 at times put, you know, a lot of cameras down. Then
25 again, as I mentioned yesterday, there is a lot of

1 | dynamics that go into where a whale wants to feed and
2 | density, species of mysids. We have to know are the
3 | mysids juveniles, adults and are the mysids pregnant. So
4 | there's so much that goes into that. So it's sort of a
5 | loaded question because there -- I could go on for 3 hours
6 | and --

7 | MR. SLONIM: Can we look at Ms. Newell's
8 | master's thesis.

9 | I want to ask you about a statement on page 2 of
10 | your master's thesis.

11 | Okay. Can you scroll down a little bit?

12 | BY MR. SLONIM:

13 | Q. Okay. So in the section on ecological
14 | interactions in the California Current System, you wrote
15 | -- and this -- I'm starting on the third line of that
16 | section, the system, "the California Current System is
17 | characterized by seasonal wind-driven upwelling that fuels
18 | a productive planktonic assemblage of phytoplankton and
19 | zooplankton. Baleen whales in these upwelling systems
20 | actively seek areas with high concentrations of prey."
21 | And you had a couple sources for that.

22 | Do you still agree with that?

23 | A. Yeah.

24 | Q. And that would be true of gray whales as well,
25 | correct?

1 A. Yeah. But again, I -- that is true, but again
2 that's an overly simplistic statement. I mean, they will
3 seek out high concentrations of prey, but what I have
4 found out through my research is that they have to have --
5 the prey base has to be of a certain type. And that's all
6 I was getting at.

7 Q. And if it is, they'll be looking for it?

8 A. Absolutely.

9 Q. Okay. Now with respect to the -- we talked
10 about the issues about disturbance. Are you aware of any
11 instances in which researchers have gathered fecal samples
12 without disturbing the whales?

13 A. Like I said, I haven't seen Dr. Torres actively
14 collecting fecal samples because she's been doing it far
15 south. But I did see, and I'm not even sure who the
16 person was, but I could tell the whale pooped and this guy
17 on the boat, he zipped up -- it was Ginger actually.
18 And --

19 Q. Yeah, my question was are you aware of any
20 circumstances where a researcher was collecting fecal
21 samples without disturbing the whales?

22 A. I have not observed that, so I cannot answer the
23 question.

24 Q. And the only observation you have is the one
25 example in your written testimony?

1 A. Yes.

2 Q. And in your collections of fecal samples, did
3 that disturb the whales?

4 A. When I -- like I said, I waited till the whale
5 was far away. And so in that instance, no. I --

6 Q. No disturbance. Okay. Are you aware of any
7 circumstances in which a researcher has approached within
8 100 yards of a whale for purposes of taking photographs
9 without disturbing the whale?

10 A. Sometimes a whale is disturbed, sometimes it is
11 not.

12 Q. Okay. And did you mention any of the -- did you
13 mention that in your written testimony, that sometimes the
14 whales are not disturbed in that situation?

15 A. I don't believe so.

16 Q. Do you know which four whales were biopsied when
17 you were out with Mr. Scordino in 2010?

18 A. I do not. Actually, I gave Jonathan my pictures
19 and I forgot to get a copy of them. So I -- and I meant
20 to ask him, and I -- so I don't have that data.

21 Q. So were you able -- did you have any way to
22 determine whether those whales were present after that
23 day, either the same season or later seasons?

24 A. Again, I lost that data, so I cannot say. I'm
25 sorry.

1 Q. And so do you have any reason to disagree with
2 Mr. Scordino's testimony that he saw two of those whales
3 the next day?

4 A. I believe there was a little more with his
5 statement. And correct me if I'm wrong, I believe he said
6 that the weather was not -- the ocean was not real good
7 that day and I think that a couple of the whales came
8 back. I'd have to go back to my notes, because I wrote
9 copious amounts of notes. I believe that's what the
10 testimony was.

11 Q. One of the whales he identified as being CRC No.
12 94, which I think you've named Dede; is that correct?

13 A. Yep.

14 Q. And she's been seen in years since 2010; is
15 that --

16 A. She has. Yes, she has.

17 Q. And with respect to the other whales that were
18 biopsied and the whales that were satellite tagged that
19 you mentioned in your testimony, you didn't present any
20 information about how frequently they had been seen in
21 previous years or whether they were seen in subsequent
22 years, did you?

23 A. No.

24 Q. The satellite tagging, that was part of the work
25 that led to the Lagerquist article; is that correct?

1 A. As I recall, when this was happening it was -- I
2 don't think she was involved in that study. I mean, she's
3 been involved in the recent studies. I know Dr. Bruce
4 Mate, he was -- I'm not sure if she was on the boat doing
5 those studies. I'm sorry. I don't know for sure.

6 Q. Was that some of the data she used in her
7 article?

8 A. I believe she had, if I remember correctly from
9 the paper, 2009, I believe she --

10 Q. Correct.

11 A. -- had some satellite tag data. And I know
12 that, if I remember correctly, I think there were two
13 whales off Seal Rock, four whales off Cape Foulweather;
14 there were 23 off Cape St. George, 35 whales total -- 23,
15 24, 25 --

16 Q. Let me just -- I'm sorry. Let me just ask you.
17 Was that the satellite tagging that you were talking about
18 in your written testimony?

19 A. No.

20 Q. Okay. You were talking about something else?

21 A. Yes.

22 Q. Okay. In your written testimony you indicate
23 that you've seen more skinny whales this year than any
24 other year; is that correct?

25 A. Yes.

1 Q. What proportion of skinny whales are you seeing
2 this year?

3 A. Late in the season, like -- the beginning of the
4 season all the whales are a little bit on the lean side.
5 You know, they just came off a long fast. But typically
6 by the end of the season, usually by August, September,
7 especially October, you should see a nice robust whale
8 because it's getting ready to go on that 6-month fast.

9 So the data I was seeing, from what I consider a
10 poor body condition from how I defined it in my paper that
11 was published, is you have a depression behind the
12 blowhole and the --

13 Q. I'm just asking you what proportion you saw this
14 year.

15 A. I'm going to guesstimate. I haven't analyzed my
16 data -- well, you know, I haven't analyzed my data, so I
17 would just be totally off the cuff.

18 Q. So you don't know? Do you think it's more than
19 80%?

20 A. I'd say less than 80.

21 Q. And 80% is what you observed in terms of whales
22 in poor body condition in 2005; is that correct?

23 A. Yes.

24 Q. And are any of the whales that you've observed
25 this year in a condition that you think indicates they

1 | won't survive?

2 | A. There's a few. There's a few that I'm extremely
3 | worried about. Matter of fact, the one that died, and I'm
4 | not -- I'm curious to see -- I don't know the number
5 | offhand. I know it was a PCFG whale that they found
6 | south. And I didn't get the number yet of the whale, so
7 | I'm --

8 | Q. Do you know anything about the condition of that
9 | whale?

10 | A. All I know -- all I heard about that whale is
11 | that it's a PCFG whale. That's all I know at this point.

12 | Q. Also that it had a satellite tag wound?

13 | A. It did.

14 | Q. It did mention that.

15 | A. I did know that. Yeah, I did know that.

16 | Q. In your guidebook on page 85 you refer to a
17 | whale named Jenny Lace that was extremely thin in 2009 and
18 | 2010; is that correct?

19 | A. Yes.

20 | Q. And that whale has been seen every year since
21 | then; is that correct, somewhere in the PCFG?

22 | A. You know, I have not seen that whale recently,
23 | so -- I'm trying to see --

24 | Q. Have you checked the Calambokidis appendix to
25 | see if that whale was identified?

1 A. All -- a lot of this that you're asking, like
2 I'm going to be going through this winter with John
3 Calambokidis, I'm going to go through my whole guidebook,
4 and any whales that are no longer in the area, I'm going
5 to be taking those out, and I'm going to be adding new
6 ones. And so, so I have not gotten that far yet with my
7 data since I got off the ocean 3 to 4 days ago. But let
8 me finish finding Jenny Lace here, see what I wrote about
9 her.

10 So that whale, the last time I saw that whale
11 was 2012. I have not seen that whale since then.

12 Q. Do you have a CRC catalog number for her?

13 A. That whale is 786.

14 Q. We could look her up in the Calambokidis
15 paper --

16 A. Yes, we could.

17 Q. -- and see if she's been sighted.

18 A. Yep. Yeah, I just haven't seen her on --

19 Q. And you described her as extremely thin in 2009
20 and 2010.

21 A. Yes. Yeah, she was quite skinny. And she got
22 attacked by orcas. She got -- the beginning of the season
23 she had no tooth rakes, at the end of the season she did,
24 and that was in 2010. So again, people say that --
25 scientists say that, you know, a lot of adult gray whales

1 are not attacked, but I do have evidence that that is not
2 the case.

3 Q. On page 15 of your written testimony you wrote
4 that "The Makah tribe and NMFS further expressed the
5 opinion that PCFG gray whales are driven primarily by prey
6 availability in selecting feeding areas. While this
7 statement is true, I believe that they take the
8 proposition too far by further claiming that PCFG
9 distribution is highly variable, with the apparent goal of
10 proving that PCFG gray whales will not necessarily be
11 found in large numbers in the proposed Makah near-shore
12 hunt area." Do you recall that?

13 A. Yes. I'm looking at it. Yeah.

14 Q. I want to ask you a few questions about that.
15 First, just to be clear, you agree that PCFG gray whales
16 are driven primarily by prey availability in selecting
17 feeding areas?

18 A. Yes. If the prey is of the right concentrations
19 and feeding type, yes.

20 Q. And then with respect to what you described as
21 the Tribe's and NMFS's apparent goal, did you find that
22 goal articulated in a testimony or how did you deduce that
23 that was the goal?

24 A. Well, I had just heard through the grapevine. I
25 have a large number of people that -- friends and some

1 employees, and after they found out that they're doing
2 that, they'll say -- you know, I think it came from -- and
3 I don't know who it was, one of my employees, she said,
4 you know -- she's really up on everything and she -- I
5 mean, she's a lot more up on everything than I am.
6 Because when I'm actively doing the whale watching, I
7 don't have time to even watch the news or anything.

8 Q. So it's not something you read in a NMFS
9 declaration or a Tribal declaration?

10 A. No. No.

11 Q. And if the point that NMFS and the Tribe were
12 making was simply that gray whales select feeding areas
13 based on prey availability, you would agree with that?

14 A. Yes.

15 Q. Okay. Do you have any personal knowledge of
16 PCFG use of the area of the Makah hunt?

17 A. The only knowledge I have is, the 4½ years that
18 I had family living on the reservation, when I'd come to
19 visit them, we would go out to Cape Flattery and hike, and
20 I would observe gray whales near shore feeding. And, I
21 mean, that's just from shore. I didn't get any good ID
22 shots. I mean --

23 Q. So have you personally observed whales traveling
24 to the same locality to feed on the same prey in the area
25 of the Makah hunt each year?

1 A. Have I observed it?

2 Q. Yeah.

3 A. No.

4 Q. Have you studied prey resources in the area of
5 the Makah hunt, and specifically whether they are
6 consistently present in the same locations, same quality,
7 each year?

8 A. No.

9 Q. Have you studied whether prey resources in the
10 area of the Makah hunt are consistently present throughout
11 the summer?

12 A. No.

13 Q. If the prey you've observed near Depoe Bay were
14 not consistently present throughout the summer, would
15 expect the whales to be consistently present?

16 A. I've already documented that they leave. I have
17 my paper that shows that.

18 Q. And I think you testified here, both yesterday
19 and today, that the Depoe Bay area is unique in terms of
20 its consistent high quality prey base?

21 A. Depoe Bay always has consistent food. I can't
22 say for sure -- I haven't -- I know Depoe Bay is
23 consistent, but I can't say all these areas along the
24 coast because I have not -- I've sampled -- you saw where
25 I sample from: Seal Rock to Lincoln City.

1 Q. Maybe I misheard you. I thought you used the
2 term unique to describe Depoe Bay, at least once or twice.

3 A. There is uniqueness with Depoe Bay where there's
4 always food, but I -- it's not -- I can't say that it's
5 unique from all other areas because if I --

6 Q. You just don't know?

7 A. I don't know.

8 Q. Okay.

9 A. I don't know. Thank you.

10 Q. And then, as you said, where prey -- where the
11 quality or density of the prey was reduced, such as in
12 2005 or the beginning of 2010, you saw fewer whales in
13 Depoe Bay; is that correct?

14 A. Yes.

15 Q. Okay. I want to turn to page 17 of your
16 testimony, and these are quotes from Mr. Scordino's
17 testimony; is that correct?

18 A. Yes.

19 Q. Okay. And so the one near the top of the page,
20 that first bullet: "Some gray whales are consistently
21 observed in the Makah U&A from year to year, but most show
22 little to no fidelity to the area within and between
23 feeding seasons." Is that correct? Did I read that
24 correctly?

25 A. You read it correctly, yes.

1 Q. I know Ms. Imaki asked you a couple questions
2 about this and I believe you said that you thought that
3 was -- the language was somewhat vague. Was that -- or
4 something to that effect?

5 A. I can't recall exactly what I said.

6 Q. Okay.

7 A. But, so my --

8 Q. Well, let me ask you a question then.

9 A. Okay. I'm sorry.

10 Q. Do you see the citation at the end of that
11 sentence?

12 A. Yes.

13 Q. Do you know what that's referring to, what
14 article that's referring to?

15 A. The Scordino et al. 2017b?

16 Q. Yeah.

17 A. I have not been able to pull that one up.

18 Q. Okay. It was attached to Mr. Scordino's
19 testimony. Are you aware of that?

20 A. Yeah. I didn't get a chance to read all the --
21 everything.

22 Q. Okay. So you don't know whether that article
23 supports the statement or doesn't support the statement?

24 A. I do not.

25 Q. And you didn't discuss that article in your

1 | testimony?

2 | A. I did not.

3 | Q. Okay. Then Mr. Scordino says: "These findings
4 | are consistent with the PCFG range-wide photo-
5 | identification results (Calambokidis et al. 2017) and the
6 | satellite telemetry results (Lagerquist et al. 2019)
7 | showing that PCFG whales are commonly observed using a
8 | range of size that exceeds 60 nautical miles."

9 | Is that a correct statement with respect to the
10 | Calambokidis study?

11 | A. Yes. We looked at that.

12 | Q. Okay. And then is it -- it's a correct
13 | statement with respect to the Lagerquist study, that you
14 | have qualms about the Lagerquist study; is that correct?

15 | A. Yes.

16 | Q. So he's correctly described what Lagerquist
17 | found, you just disagree with Lagerquist?

18 | A. I disagree with some of the sampling
19 | methodology.

20 | Q. And if I understood what you said yesterday, one
21 | of your concerns was that Lagerquist may have been
22 | capturing southbound migration movements; is that correct?

23 | A. Yes.

24 | Q. Did Lagerquist make an attempt to exclude
25 | southbound migration movements from their analysis?

1 A. She tried to make an attempt to do so, yes.

2 Q. And did you look at how she did that?

3 A. I did.

4 Q. And you didn't think she did it correctly?

5 A. I had questions about that.

6 Q. And then she also had some samples of whales
7 that returned to the PCFG area the following year,
8 following the northbound migration?

9 A. Yes.

10 Q. Did you have any concerns about her use of those
11 data points?

12 A. No.

13 Q. Apart from your critique of the Lagerquist
14 paper, did you provide any evidence that PCFG whales show
15 greater fidelity to the Makah area than described by Mr.
16 Scordino?

17 A. Please say that again.

18 Q. Apart from your critique of the Lagerquist
19 paper, did you provide any evidence that PCFG whales show
20 greater fidelity to the Makah area than described by
21 Mr. Scordino?

22 A. No.

23 Q. You've testified that in your opinion you at
24 least feel that within the PCFG internal recruitment may
25 be more significant than external recruitment; is that

1 correct?

2 A. Yes.

3 Q. Have you studied external recruitment into the
4 PCFG?

5 A. No.

6 Q. Have you reviewed any studies of external
7 recruitment into the PCFG?

8 A. I've read a number of John Calambokidis' papers,
9 and what he feels, and I would agree with that, is that
10 the times of recruitment into the PCFGs are times when we
11 have UMEs and -- him and I had this discussion not too
12 long ago, that probably we will see some recruitment this
13 year because if you -- again, gray whales are driven by
14 food. So if you don't have the food, I feel and he feels
15 that -- well, I shouldn't speak for him, but we had this
16 discussion that there is going to be some external
17 recruitment, but I do not feel that these whales will stay
18 as PCFGs. I think they will come down, eat, get as happy
19 -- fat and happy as they can, and then when food supplies
20 get better up north, they will again go up north. That is
21 my feeling.

22 Q. And do you have any scientific papers that make
23 that contention and evaluate it?

24 A. Ask me in 2 years. Not yet.

25 Q. Okay. Thank you for your patience. I

1 appreciate it.

2 A. Thank you.

3 MR. SLONIM: No more questions.

4 THE WITNESS: Thank you.

5 THE COURT: Are you through? Do you have some
6 questions, sir? Yes? Okay.

7 **CROSS-EXAMINATION**

8 BY MR. GOSLINER:

9 Q. Good morning.

10 A. Good morning.

11 Q. A lot of questions have been asked of you, but
12 one area I don't think has been mined yet, and that's the
13 question I'm going to ask you, or several questions, which
14 is: It was clear from your testimony yesterday that you
15 have a special interest and connection with the PCFG
16 whales; is that --

17 A. I do.

18 Q. Yes. And as a result of that, you kind of
19 suggested a compromise whereby the Makah could do
20 something else in the summer and limit their hunting to
21 the winter?

22 A. Yes.

23 Q. So there's a -- and I'm going to ask you this
24 question not on your emotional side but on your -- wearing
25 your hat as a biologist, which is: Do you have a similar

1 concern for the Western North Pacific gray whales and the
2 conservation of that stock as well?

3 A. Absolutely.

4 Q. And do you realize that shifting hunting to the
5 winter might pose more risks to the Western North Pacific
6 stock?

7 A. Yes.

8 Q. And would you like to reassess your compromise
9 solution in considering impacts to both PCFG and Western
10 North Pacific, as a biologist?

11 A. I personally, as I said yesterday, I personally
12 don't want to see any whales killed. That's bottom line.
13 I mean, I don't like killing things period. And so, you
14 know, but I also understand cultural things, not to the
15 extent that other people do. I'm not trying to say I'm
16 expert in that whatsoever.

17 But when we're -- my concern is also the Western
18 Pacific whales, and also I've seen some of the PCFGs in
19 March and April -- you know, that says, you know,
20 typically May through November, but I have seen PCFGs in
21 March and April. I have never to my knowledge seen WNPs,
22 which would be extremely difficult if you're not familiar
23 with them. So as a biologist, when we have two
24 populations that are on the brink, especially the WNPs,
25 and I don't think we have a large enough population with

1 | the PCFGs to do anything to them, I mean, we're asking for
2 | trouble, as a biologist with a wildlife and fisheries
3 | management degree. If you look at the numbers, and
4 | there's even a slight chance that you could be killing
5 | either one of those and taking out of those two
6 | populations a whale that's already -- has a very small
7 | population, from a population dynamics point of view it's
8 | not good management.

9 | MR. GOSLINER: No further questions.

10 | **REDIRECT EXAMINATION**

11 | BY MS. PRUETT:

12 | Q. Good morning, Carrie.

13 | A. Good morning.

14 | Q. That wasn't so bad, was it?

15 | A. Not too bad.

16 | Q. You were a little concerned. Okay. So my
17 | questions are going to cover a little bit of things you've
18 | talked about before, yesterday as well as this morning in
19 | the ongoing cross-examination.

20 | So yesterday I asked whether you were familiar
21 | with the time and location of the proposed hunts, and that
22 | is -- and you said yes. You were then asked by the
23 | representative from NMFS whether you had read the federal
24 | regs on this or any other sort of rulemaking and you said
25 | no. Does that mean you are not familiar with the timing

1 | or the scope?

2 | A. I have -- I didn't know the name of that
3 | document, and what I thought I read was not the document
4 | we were addressing, and when you showed that to me this
5 | morning, it's like, no, I have not read this one. So it
6 | was just -- I thought it was a different document when you
7 | had shown that to me and it was -- the one you showed me
8 | this morning, no, I had not read that.

9 | Q. Okay. The one I showed you this morning was the
10 | official -- is the official register notice, but you were
11 | still familiar with the timing and the scope of the hunt,
12 | even though --

13 | A. I've listened. I've taken lots of notes. So,
14 | yeah, from -- I learned all that. I unfortunately didn't
15 | have time to prepare like I would've like, had I not been
16 | working as much as I've been working.

17 | Q. Okay. Great. Thank you. And so if you had had
18 | more time, you would have submitted more testimony, cited
19 | more papers, included more of your data?

20 | A. (No audible response.)

21 | Q. We appreciate what you've done already to date.
22 | So -- hang on a second. Okay. So as far as your -- the
23 | compromise that you stated yesterday out of concern for
24 | the needs of the -- purported needs of the Makah Tribe,
25 | that's a statement that you came up with on your own; is

1 | that correct?

2 | A. Yes.

3 | Q. Okay. That doesn't represent Sea Shepherd's
4 | position?

5 | A. It absolutely, positively does not represent Sea
6 | Shepherd's position. That was totally my own opinion. As
7 | I mentioned just a couple minutes ago, I personally don't
8 | want to see any whales killed, but again, I have a soft
9 | spot for the Makah. And so, so I always -- also being a
10 | teacher and managing numerous people in my business, I
11 | always try to look at both sides and I always try to
12 | figure out compromises so neither side's going to be like
13 | (makes noise). And so, so yeah, that was definitely not
14 | Sea Shepherd's point of view. It came totally from me.

15 | Q. Okay. Because you understand that Sea Shepherd
16 | of course doesn't condone the killing of whales --

17 | A. Yes.

18 | Q. -- by anyone, anywhere, anytime?

19 | A. Yes.

20 | Q. Okay.

21 | A. And -- yes.

22 | Q. Regardless of the population of whales, yeah.

23 | A. Right.

24 | Q. Okay. Thank you. I mean, I'm sure you
25 | understood that, but I just wanted to make sure everyone

1 else understands that wasn't Sea Shepherd's position.

2 So just a quick question on PCFGs. So they're a
3 little more accustomed to being around whale watching,
4 right?

5 A. Right.

6 Q. So would that -- and in your testimony, your
7 direct, your written testimony, you also said they might
8 be considered sitting ducks --

9 A. Yes.

10 Q. -- because of that?

11 A. Yes.

12 Q. So they are potentially at higher risk than
13 other whales that might not be as accustomed?

14 A. Yes.

15 Q. Thank you. And you also referred to -- so the
16 research vessels that have interacted with whales, that
17 the whales then are skittish as a result. Is that normal
18 behavior, being skittish?

19 A. Not with the PCFGs that I have worked with
20 directly off Depoe Bay.

21 Q. Okay. So is skittishness, in your opinion,
22 stress?

23 A. Yes.

24 Q. You did say that some whales have come back
25 after tagging studies, you believe?

1 A. Yes.

2 Q. But are tagging studies nearly as disturbing or
3 stressful to whales as when they're pursued, shot,
4 harassed -- or otherwise harassed, chased during hunts or
5 training hunts, potentially?

6 A. I haven't directly seen that, but what I've seen
7 -- I'm going to talk from what I have personally seen.
8 Whales that I have seen being pursued, and over the years
9 I have seen them be pursued, I feel that they have totally
10 been stressed out. They stay under longer. They have
11 more of an erratic swim pattern. I'm sure if we would
12 collect fecal samples, you would see the cortisol levels
13 dramatically increased.

14 You are taking them away from a feeding area.
15 Like, for example, if you -- if there would be -- if
16 you're going after a whale that's feeding in the summer
17 and it has to feed 24/7, they don't take breaks. You
18 know, they're feeding nonstop because they have to get
19 their full food supply in 4 to 6 months of feeding and
20 then they're fasting for up to 6 months. So if you
21 disturb a whale when it is actively feeding, not only is
22 it going to cause a disruption to its try and get enough
23 energy reserves, but also it's going to increase the
24 stress hormones and other things, and then cause
25 potentially other medical issues to the whale. That is

1 | hard to document, but there is that potential.

2 | Q. Great. Thank you. So that's really good
3 | information. So, but do you think that, beyond that, if
4 | you're doing something more, if you're chasing them in a
5 | practice hunt, if you're chasing them because you're
6 | actually hunting them, or you're striking them or you're
7 | attempting to strike them, are those things going to be
8 | even more stressful and even a higher level of harassment
9 | than what you're already seeing with these tagging studies
10 | that can already produce significant stress and take them
11 | away from their food source?

12 | A. Again, I'm guessing. Guessing, I would say
13 | there is -- yes, there is that potential.

14 | Q. Thank you. Okay. So you mentioned a bit that
15 | -- you talked a little bit about the Crescent City whale,
16 | or I believe that's the same one that NMFS brought up
17 | earlier, that's the Humboldt's whale. So you mentioned
18 | it's entirely possible because you've seen a satellite tag
19 | cause an infection, which could have led to the death of a
20 | particular other whale?

21 | A. Yes.

22 | Q. And you said it's entirely possible that that
23 | whale in Crescent City had also died from this. But isn't
24 | also --

25 | A. I don't know.

1 Q. Right, you don't know. But isn't also possible
2 that it could have been part of the ongoing UME, a loss as
3 a result of the ongoing UME?

4 A. Yeah. As far as I know, the satellite tag wound
5 was a more -- it was further away. And so, I don't
6 believe that wound caused the death of that whale. I
7 haven't had enough time to really look at that. I just
8 know a few tidbits. But my guess would probably -- my
9 guess would be it's probably a UME whale, would be my
10 guess.

11 Q. Great. Okay. Thank you.

12 So these are notes from 2 days' worth of cross
13 here, so -- okay. So the issue of cryptic mortality in
14 that 10% figure, approximately, that you used yesterday,
15 that is something that Dr. Calambokidis or -- I'm sorry --
16 Mr. Calambokidis has confirmed is a conservative estimate;
17 is that correct?

18 A. Yes.

19 Q. And he is an expert on PCFGs and gray whales in
20 general?

21 A. Yes.

22 Q. Okay. And is it also your testimony that based
23 on your conversations with Calambokidis and also your
24 personal and consistent long-terms studies of PCFG gray
25 whales, that internal recruitment is in fact the most

1 | likely way that new whales are -- that the population is
2 | stabilized?

3 | A. I believe that is -- we're going to find in the
4 | next 5 years, as we do more data and we write more papers,
5 | that it will be primarily internal recruitment with lots
6 | of calves and stuff, with the exception, as I mentioned,
7 | of UME years when I feel that there's going to be a larger
8 | influx of whales if they don't have enough food in Alaska.
9 | So I truly believe that it's primarily internal
10 | recruitment.

11 | Q. And regardless of the fact that there may be
12 | some whales going to distant places, you firmly believe
13 | that PCFGs often exhibit high site fidelity?

14 | A. They do. I mean, the data -- I mean, there's --
15 | we've seen the data. The data doesn't lie. But the thing
16 | is, is how people interpret data. I mean, and that's one
17 | of my big things that I've always told my students. It's
18 | like, you know, people can interpret data however they
19 | want to interpret it. Like, wow, you see that it's this
20 | long range; it's like, but if you actually know more about
21 | what went into that graph, it may be overly generalized,
22 | and once you really dive into what's truly happening, I
23 | think -- people, I mean, people can develop biases. I
24 | mean, that's just -- I mean, everyone does. I do,
25 | everyone does. That's just human nature. And I have told

1 | my students repeatedly that what you can only believe is
2 | what your eyes tell you and what your common sense says is
3 | right or wrong.

4 | My advisor said that I have the best
5 | observational skills of any of his students that he's ever
6 | had, and he says you make sense because you don't read;
7 | you know, you are out in the field looking and making
8 | those conclusions from what you physically see, not what
9 | you, you know, are just surmising from reading papers or
10 | whatever. So when you are looking for a certain point in
11 | a paper, for example, even a paper that's directed one
12 | way, I could tweak that or someone else could tweak it to
13 | make it appear how you want it to appear.

14 | Q. And isn't that one of your concerns with the
15 | paper we've been talking about, the Lagerquist study, that
16 | there are concerns about the scope of what they're really
17 | looking at and crunching the data in a manner that is
18 | either biased or skewed in a certain way to represent one
19 | thing? I mean, I believe your testimony is you were
20 | concerned about the geographic scope of it, the time of
21 | sampling, the sampling size; isn't that correct?

22 | A. Yeah, yeah. I mean, and she does great work.
23 | Please, I don't want anyone to think I don't think she
24 | does great work; she does.

25 | Q. Right.

1 A. But again, you have to really understand like,
2 okay, you have a small sample size. Almost all the whales
3 were tagged in one locality in a short period of time, so
4 you're already biasing your sample how you did it. And
5 it's already late in the season, so, yeah, the whales are
6 already moving south. And I know she tried to take that
7 out of her paper, but I still have problems with that.

8 Q. And do you need to attend scientific meetings to
9 be able to formulate an expert opinion that PCFGs have
10 high site fidelity and exhibit internal recruitment?

11 A. No.

12 Q. Regardless of whether you procured photos during
13 transect trips, right -- so we -- there was a discussion
14 today with did you get most of these photos during
15 transect trips or some other, you know, a focus study or
16 were they mostly -- and we're talking about the photos
17 that you send to Calambokidis -- or during whale watching
18 trips, you still record scientific data every single time,
19 right?

20 A. Yes. And John, I mean, John gets tons and tons
21 and tons of his -- John Calambokidis -- of his data from
22 Brian Gisborne, and he runs a water taxi. And so most of
23 John Calambokidis's photographs from around Southern
24 Vancouver Island, are from Brian. So, I mean, an awesome
25 guy, but he does -- I mean, he does great photographic

1 | work, but again, you know, he runs a water taxi. And so,
2 | again data is data. I mean, you know, right now we're
3 | trying to set up places along the Oregon coast where we
4 | can have people, whale watching people, people from shore,
5 | whatever, submit their photographs to a common place, and
6 | then we can start looking at that distribution. What's so
7 | exciting about this is that -- I mean, I've learned tons
8 | over the years. I mean, stuff that I did before, I would
9 | have changed because I'm learning. I learn all the time.
10 | Every trip that I go out, I'm learning something new. And
11 | now, you know, with all this great technology we can
12 | accumulate these pictures from the common citizen. And
13 | it's so exciting for those people that they're involved as
14 | citizen scientists. I mean, that is a huge thing.

15 | Birds -- I'm a big birder, so there's a huge
16 | thing with citizen scientists as a birder. Like, I saw
17 | this bird. And we're trying to set that up with whales.
18 | So now -- you know, I only have this limited area around
19 | Depoe Bay, but, you know, if I have people up and down the
20 | California, Oregon, and Washington coasts, which I connect
21 | with all those people. I have hundreds of thousands of
22 | people on Facebook and I am connecting with them. It's
23 | like, oh, yeah, I need pictures, please submit these. And
24 | then we can look at that distribution and where I'm not
25 | getting data because I wasn't there; I can't be in 20

1 | places at once, but these other people are. And it's
2 | giving us so much happiness. Now I'm a scientist, I'm a
3 | citizen scientist. And that's where John's gotten, you
4 | know, a chunk of his data from, awesome data.

5 | Q. Excellent. And so in that same vein, when
6 | you're talking about these people, all these people,
7 | hundreds of thousands of people potentially, they're all
8 | appreciating these whales because they're alive; is that
9 | correct?

10 | A. Oh, yeah. I mean, when -- like I said, I'll
11 | post on Facebook, you know, like if we get something
12 | really cool happening. Like we had a Cuvier's beaked
13 | whale this summer in 23 feet of water, and I had never
14 | seen the whale. And so, I'm like, well, it's not this,
15 | not this, not this. I taught seabirds and marine mammals
16 | for so many years. And I seen this whale, I'm like, I
17 | can't figure it out. So I got a lot of good pictures, and
18 | it literally came -- my dog was barking and it came right
19 | up to the boat. And so, we got good pictures, but it's 23
20 | feet from shore, and it's like, oh, my goodness.

21 | And so I immediately called John -- John
22 | Calambokidis, he's my mentor. And I sent my pictures to
23 | him, and it's like, oh, God, I'm not 100% sure, I got to
24 | send it on. And so the people involved in that trip, I
25 | mean, I said this is so incredibly rare. I can't tell you

1 | how rare this is. And we posted that on Facebook, and
2 | Facebook blew up; it blew up. I mean, people from all
3 | over the world are like, you know, giving you their two
4 | cents of, you know, oh, I think it's this, I think it's
5 | that, or whatever.

6 | And so, but, you know, when people all around
7 | the world feel they're involved in something like that,
8 | and they're seeing these whales and, like I said, it's
9 | changed their lives. I mean, when whales, especially, you
10 | know, if they decide to come up to the boat and give us a
11 | good close encounter, and when I take these people to Baja
12 | and they can pet the whales, and -- I mean, you know, I
13 | can't tell you how that changes a person. I mean, it's
14 | something from the inside out. I mean, they cry; they
15 | laugh. There's so many emotions that come out when they
16 | see these whales that -- you know, living, breathing, you
17 | know, interacting.

18 | And they look at them. I mean, they take their
19 | eye -- you saw my picture yesterday. They're self-aware,
20 | and there's very few animals in this world that are self-
21 | aware. Self-aware, like if you hold a mirror up, they
22 | look in the mirror and they know it's themselves.
23 | Cetaceans do that, chimps do that, elephants do that.
24 | That's it. So there's very few animals in this world that
25 | are self-aware, and cetaceans are self-aware.

1 Q. Thank you. So I'd love to continue talking
2 about that because it's so the incredible, you know, how
3 moving it is for people to have close encounters with live
4 whales, but I'm going to get into some more technical
5 stuff or a little less exciting.

6 So the fact that some new whales arrive, on
7 occasion you've seen some new whales arriving early on, so
8 like July. Is that even considered early? You were
9 talking about --

10 A. Typically, like I said, the earliest I've ever
11 seen a PCFG was Ginger, last year, and that was in March.
12 It was spring break actually. And then Comet in April. A
13 lot of our whales -- we start getting whales the end of
14 May. And June, like I said we had a bad June this year.
15 June is variable. July, you know, we're getting some more
16 whales. August more whales come in the area. September
17 the most whales. October they're starting to wean away.
18 November we're lucky to have whales.

19 Q. Okay. So the fact that some come earlier than
20 others and some stay longer does not change, and some stay
21 very consistently, come back again --

22 A. Right, right.

23 Q. -- and again over even 27 years or something,
24 whatever --

25 A. Right.

1 Q. -- you had -- some 18 to 20 years. But they're
2 coming back over and over and over again.

3 A. Yes.

4 Q. But then you have some that just go to other
5 places and don't stay as long. Does that change your
6 opinion that there's high fidelity for even internal
7 recruitment --

8 A. No, no, no.

9 Q. -- with PCFGs?

10 A. I mean, it's just some have larger regional
11 preferences and some specific sites that they like to come
12 back to.

13 Q. And given what you know and the concern you
14 expressed, and you were afraid actually, you said, earlier
15 this year that -- the numbers have been low this year for
16 whales?

17 A. Yes.

18 Q. Does that give you any heightened concern about
19 the potential for a hunt?

20 A. It does, because -- I mean, with the numbers
21 that -- and again, I have to make a totally informed
22 decision once I go through all my data. And once I do
23 that, I can make more of an informed statement. But from
24 what I've seen is -- first of all, I know there were less
25 whales this year than other years. And I do know that

1 late in the season we had more skinny whales. Now I can't
2 give you a percentage -- I mean, until I actually crank
3 through the data, I really can't give you percentages of
4 any of this. And so that's something that -- you know,
5 I'll just say I have seen less whales and more skinny
6 whales, and I'm going to leave it at that until I crank
7 through the data.

8 Q. Okay. And the fact that -- okay, so in that
9 figure -- the Figure 8, we're not going to bring it up
10 again, but the Figure 8 in John Calambokidis's most recent
11 paper, the one with the red bars --

12 A. Right.

13 Q. -- representing latitude and so forth. So one
14 of the reasons that you're saying that even though that's
15 supergood information it's not complete, is it because you
16 haven't had an opportunity to review data? Part -- one of
17 the reasons you said, right?

18 A. Yeah. Yeah, one of the reasons -- I mean,
19 Dr. Leigh Torres, the last few years, she's been able to
20 take some pictures also off Depoe Bay, but previous to
21 that, John said I was the only person who had any
22 photographs. And so I am very, very anxious to share
23 those photographs with him that I have not yet shared with
24 him. And that could change that. I don't know how much.
25 You know, we'll have to wait and see, but it could. So

1 I'll be curious to see.

2 Q. But in any event, you believe that PCFG whales
3 do exhibit higher site fidelity than Mr. Scordino has
4 described?

5 A. What I've observed off Depoe Bay, the whales
6 I've seen off Depoe Bay, yes. I cannot address that for
7 other localities. But what I have seen off Depoe Bay,
8 yes, that is true.

9 Q. Okay. And, you know, you talked a lot about
10 Scarback over the past day and a half, and one of the
11 things in particular that you mentioned is that Dr. Bruce
12 Mate, who is also a foremost cetacean scientist; is that
13 correct?

14 A. Absolutely.

15 Q. That he guessed that it was sometimes in the
16 '80s, potentially, that Scarback had been hit by a
17 harpoon.

18 A. Right.

19 Q. Are you familiar with Dr. Tillman's testimony on
20 behalf of the Marine Mammal Commission, that in the '80s
21 Alaskans hunted gray whales using black powder that could
22 cause a wound like the one on Scarback?

23 A. I was not familiar with that.

24 Q. So if that were true, it could indicate that
25 Scarback maybe just went as far as Alaska and it wasn't

1 farther than that; is that correct?

2 A. Yes. What I tell my people about Scarback --
3 this is what I have said to many, many hundreds of people
4 over the years, because they ask how she got her wound. I
5 said my gut feeling, but I don't know for sure because I
6 wasn't there, I says, my gut feeling is that she was up in
7 Alaska feeding or up in the Artic feeding, and she got hit
8 by what one of the researchers thought was an exploding
9 harpoon, and that was so devastating to her that she no
10 longer made that long migration.

11 And what I believe, and I really need to dive
12 the data to know this 100% for sure, what I believe is
13 that Scarback is one of the first or maybe the first, one
14 of the first PCFGs. Because when I've talked to the old
15 fisherman off Depoe Bay, they said they don't recall any
16 whales hanging around in the summer at all, zero. They
17 said this is a relatively new phenomenon. They said that
18 they just started noticing this -- I think the first time
19 a guy said he saw a whale in the summer was 19- -- well,
20 it was in the mid-'80s. And so knowing that Scarback
21 brings her calves back, which I have documented -- I have
22 seen that with my own eyes and documented that, I believe
23 that -- you know, she has been so important teaching all
24 those calves over the years to come back only, only to the
25 region of the PCFGs, and then, you know, she was wounded

1 and it's like, I'm not going up there again. I mean, I
2 don't know this for sure. Again, I am guessing this. But
3 again, there's a possibility.

4 Because people say, well, why do some whales
5 decide not to go up there? And I'll say, well, I know for
6 a fact the calves come back. And I've said to them maybe,
7 you know, and this is a hypothesis, maybe because a number
8 of these whales have had some type of wound or some type
9 of, you know, like orca attack or got hit by boats. You
10 know, whales that got attacked by orcas, I mean, that
11 could occur anywhere, but there's two primary areas:
12 Monterrey Bay and Unimak, or Unimak Pass. And so if they
13 got attacked in the past going up into the Arctic and
14 Chukchi Sea off the -- in the Aleutians there is a narrow
15 pass that a lot of the gray whales go through to get up
16 into the Arctic. Maybe, just maybe these whales are like,
17 well, you know -- and we don't know; we don't know what
18 whales think, but I'm -- this is a hypothesis. Maybe I got
19 hurt on -- like one whale, Zebra Stripe, she got cuts on
20 her back. I've never seen her fluke, so maybe that
21 prevents her from fluking. Maybe she can't make that long
22 journey. You know, maybe these are the whales that are
23 whales -- first of all, calves of females, but also the
24 adults, maybe they are whales that, you know, somehow got
25 injured and now they're like, you know, I don't have to go

1 as far; I don't have to make that longer journey. I can
2 feed longer, you know, I don't expend as much energy, it's
3 not as cold in the waters off the northwest coast, so I'm
4 not losing as much energy, you know, through the water.
5 I'm not traveling as far so I'm not losing the energy that
6 way. And, you know, I'm getting enough of a food resource
7 that I can sustain the reserves that I have now.

8 I mean, Jonathan mentioned in his talk, he said
9 he feels that right now the PCFGs are at carrying
10 capacity. I wrote that down. That was one of his
11 statements. So again, you know, if -- you know, we can't
12 -- it's going to displace the whales that we know. I
13 mean, if we have a big event and all these -- we'd have
14 this other influx, and if in fact Jonathan is correct that
15 we are at carrying capacity, what's going to happen to
16 those whales that just know this area?

17 You know, if they haven't been in Alaska, you
18 know, they're not familiar with that, that's not the
19 cultural knowledge that the calves got from their mother,
20 you know, what's going to happen if we are at carrying
21 capacity? And, you know, we have an influx of additional
22 whales and now it's like, oh, yeah, a new whale will come
23 in and take the place of that one. Well, we're going to
24 displace some whales and some of those whales are going to
25 be dying then, if in fact that is true.

1 Q. So two things I'm taking out of your -- the
2 testimony you just offered. One, the areas where there is
3 high risk of harm to a whale, whales are most likely going
4 to want to avoid, and that could include hunts, that could
5 include strike attempts, anything that causes pain?

6 A. I think that could happen. I can't say for
7 sure, but I do think that could happen.

8 Q. But you've seen something similar on a smaller
9 scale when there have been satellite tagging events that
10 you witnessed and a whale goes away and doesn't back for a
11 few days?

12 A. Yes.

13 Q. Okay. And during that time, they're going away
14 presumably from their food source where they're taking in
15 important nutrients for their long-term survival?

16 A. Well, my problem, my problem when a whale leaves
17 an area -- so these whales, the PCFGs, know where the best
18 food supplies are. As I've mentioned numerous times, it's
19 not just, oh, there is a mysid shrimp swarm or they also
20 feed, of course, on crab, and opportunistically they feed
21 on anchovy. I mean, they're opportunistic feeders. But
22 my -- I really think most of the feeding that's occurring
23 along the northwest coast are in these mysid shrimp
24 swarms. Salmon also eat them. Salmon, rock fish eat them.
25 I mean, these swarms are so incredibly important. We

1 | have no idea how important these mysids are. I mean,
2 | they're so important.

3 | So let's just say you had a disturbance of a
4 | whale; it was being chased. Okay. And where it was
5 | feeding was the best area, the best amount of food. Let's
6 | say there were a lot of -- female mysid shrimp, they have
7 | brood patches; they're brooders. They'll have up to 30
8 | young per pouch, and this is all I've done in my research.

9 | And so now we have these big fat females that have higher
10 | lipid contents than a juvenile, and they're bigger.

11 | When I've dived in these mysid shrimp swarms,
12 | you see adults in an area and you see them -- you see the
13 | adult female/male mysids in the same swarm. They're
14 | usually homogenous. There's usually only one species of
15 | mysids. Once in a while you get Homeomysis and Neomysis
16 | mixed, but not a lot. Normally they're -- one will be on
17 | the top, one will be a little higher than them, but still
18 | right above the bottom.

19 | So, but going back to what I was saying. So now
20 | you have this great food source. You have this area off,
21 | let's say, Flat Rock in Depoe Bay. Tons of fat female
22 | mysids, that, you know, they have these big brood pouches.

23 | The whales are getting high lipid content, which they
24 | need, that is transferred into their blubber. So they're
25 | getting that.

1 Now there is some type of disturbance, they
2 leave the area. Now they're looking for another area. So
3 not only have they been disrupted when they're feeding and
4 taken away from their feeding, but now they're also trying
5 to find another area away from that disturbance that they
6 can get the right amount of food, the big fat female
7 mysids that have the brood pouches. Because the juvenile
8 mysids, they're so tiny, a lot of times when they try to
9 take them in, they'll pfff right out of their baleen.
10 I've done that experiment. I've tried, you know, taking
11 different samples and, you know -- I'm not a whale so I'm
12 not nearly as efficient as a whale, but I've done that.
13 And also, Duffus, Dr. Duffus has also documented that.

14 And so, anyhow, now they're going to an area
15 that has a poorer food supply, and they might not get
16 their correct caloric content in that new food supply. So
17 that's another issue.

18 So, yeah, you know -- yeah, they come back
19 because they know that's a good source for food. And
20 Jonathan and I are on the same page, that they go where
21 the food is. I 100% agree. But it's more than that.
22 It's what kind of food, how thick the food is, what age,
23 the density. There's so much more involved.

24 Q. Excellent. And so you also mentioned whale
25 culture and the cultural learning; is that correct?

1 A. Yes.

2 Q. Is this a concept that you came up with?

3 A. No, no, no. This is not one that I came up with
4 at all. Matter of fact, and I'm hoping to go to all these
5 conferences, but the Convention of Migratory Species,
6 they're -- many scientists around the world now are
7 thinking that this is something that's happening with
8 baleen whales. And so they're thinking that, you know,
9 they're -- this information is being passed on not only
10 mom to calf, but maybe even individuals.

11 Now I don't know, I haven't -- I'm not an expert
12 in this, so I'm just going to tell you what little bit I
13 know. And again, just a little bit, so I'm no expert.
14 Just put that in the record. But bubble net feeding of
15 whales up in Alaska, it is each member that are feeding in
16 that bubble net, has a certain position. And there's a
17 lead whale that makes a certain call, and that triggers
18 all these other whales to come together and do this bubble
19 net feeding.

20 Now that's cooperative feeding, of course,
21 amongst baleen whales. And I'm just wondering if one of
22 those lead whales dies, you know -- and I don't know the
23 answer, but this is my thinking. You know, what's going
24 to happen, like the lead whale that makes that call, it's
25 like, oh, this is the time that we all need to come up and

1 eat these anchovy or herring or whatever it may be. So
2 this cultural knowledge -- and I'm by no means an expert,
3 but I have seen that being passed on. For example,
4 Scarback teaching her calves, and other -- Morisa teaching
5 her calves. So I do think there's something to that. And
6 I think, again, in the next few years we're going to be
7 learning a lot more about that.

8 Q. And you're not the only one who thinks there's
9 something to that. You said the Convention on Migratory
10 Species --

11 A. Yes.

12 Q. -- that they've adopted this as a -- for
13 consideration long term.

14 A. Oh, yeah. There's been a number of conferences
15 now that are, you know -- they have that in a couple of
16 their different agendas.

17 MS. PRUETT: Thank you. That's all I have.

18 MS. NEWELL: Thank you.

19 THE COURT: I guess we're at lunch. So we'll
20 bring -- both sides wish to recross? I just note that so
21 -- we'll be -- we'll do this -- again, come back after
22 lunch, and -- for a brief period of time?

23 MS. IMAKI: We may or may not. We'll have to
24 decide --

25 THE COURT: Oh, you haven't decided yet. Okay.

1 So you'll be available after lunch and we'll -- so we will
2 reconvene at 1 o'clock.

3 MS. IMAKI: Thank you.

4 THE COURT: Okay. Thank you very much. We're
5 in recess.

6 **(Off the record from 12:00 p.m. to 1:00 p.m.)**

7 THE COURT: Okay. We're back on the record.

8 Any further questions for Ms. Newell?

9 MS. IMAKI: No, Your Honor. NMFS has no further
10 questions.

11 THE COURT: And none from Makah, right?

12 MR. SLONIM: Correct. No questions.

13 THE COURT: Okay. Ms. Newell, thank you very
14 much for your testimony.

15 MS. NEWELL: Thank you.

16 THE COURT: All right. You may call your next
17 witness.

18 MR. SOMMERMEYER: Thank you, Your Honor. Sea
19 Shepherd calls Dr. Stella Villegas-Amtmann.

20 (Whereupon,

21 **STELLA VILLEGAS-AMTMANN, Ph.D.**

22 was called as a witness, and after having been duly sworn,
23 was examined and testified as follows:)

24 **DIRECT EXAMINATION**

25 BY MR. SOMMERMEYER:

1 Q. Well, I had good morning on here, but now it's
2 afternoon. Good afternoon, Dr. Villegas-Amtmann.

3 A. Good afternoon.

4 Q. Are you nervous today?

5 A. Yes.

6 Q. Oh, you'll be fine. Can you please state your
7 full name and spell it for the record?

8 A. Stella Villegas-Amtmann, V-i-l-l-e-g-a-s, A-m-t-
9 m-a-n-n.

10 Q. What is your current work address?

11 A. 130 McAllister Road, Santa Cruz, California.

12 Q. And what is your present occupation?

13 A. I am an associate researcher at UCSC, and a
14 lecturer UCSC, and an adjunct at Cabrillo College.

15 Q. And so do you teach classes?

16 A. I do.

17 Q. Okay. And where do you teach classes?

18 A. I teach at UCSC at the molecular and cellular
19 and developmental biology department, and I teach at
20 Cabrillo College.

21 Q. And are you testifying as an expert in this
22 proceeding?

23 A. Yes.

24 Q. Can you please describe your -- you've given us
25 a little bit of a snapshot, but describe your educational

1 background.

2 Q. So I have a bachelor's degree in biology at the
3 University of -- National University of Mexico, UNAM, and
4 then I have a Ph.D. in ecology and evolutionary biology
5 working with physiological ecology of marine mammals at
6 the University of California, Santa Cruz. And a post-
7 doctorate with working with animal behavior department at
8 University of Bielefeld in Germany, working with more
9 physiology and ecology of marine mammals. And another
10 post-doctorate at UC Santa Cruz working with bioenergetics
11 of whales, at the Department of Ecology and Evolutionary
12 Biology.

13 Q. Thank you. And do you have any peer-reviewed
14 scientific papers?

15 A. I do.

16 Q. And how many do you have?

17 A. About 19.

18 Q. And what do they principally concern or is there
19 a common topic?

20 A. They're all on marine mammals, different
21 aspects.

22 Q. And so in conjunction with your work have you
23 been involved in research projects?

24 A. Yes.

25 Q. And what kind of research have you been involved

1 in?

2 A. So I've been involved in aspects regarding
3 ecology, foraging behavior, diving physiology,
4 bioenergetics, metabolic rate with pinniped sensitization.

5 Q. Okay. I was going to ask you what the focus of
6 the research was. It was pinniped sensitization?

7 A. Yes.

8 Q. Okay. With respect to bioenergetics, do you use
9 that to study concerning gray whales or how do you -- how
10 does it go together with gray whales?

11 A. Yes. So the bioenergetics aspect of my work was
12 to apply the bioenergetic models to consequences of
13 disturbance to marine mammals, specifically cetaceans.

14 Q. And what kind of disturbances do you assess?

15 A. So the disturbances, we were assessing where --
16 aspects in which an animal or a whale would lose energy
17 for foraging opportunities and how that disturbance would
18 affect their life history patterns, such as reproduction
19 and survival and calf -- weaning a calf.

20 Q. Was there a particular focus of your studies?

21 A. We were focusing on gray whales, on female gray
22 whales particularly.

23 Q. And why did you -- why was your focus on female
24 gray whales?

25 A. So the females are the age class in the

1 | population that matters most for population growth or
2 | population decline. And they are the animals in the
3 | population that are going to consume the most energy
4 | because they get pregnant and then they are nursing a
5 | calf, and they have a limited amount of time in which they
6 | can consume that energy before they migrate to breed and
7 | then go back. And so, we focused on females for that
8 | reason.

9 | Q. I think you partially answered this already, but
10 | what in particular were you investigating with respect to
11 | the female gray whales?

12 | A. You mean disturbance? Or can you say the
13 | question again?

14 | Q. Yeah. What in particular were you investigating
15 | as to the female gray whales as to energy?

16 | A. Yeah. So we were investigating -- we developed
17 | a bioenergetic model basically estimating the amount of
18 | energy that it requires to be a female gray whale and
19 | undertake all the life history patterns that they have,
20 | such as migration, reproduction, lactation. And so, we
21 | estimated the cost in calories or megajoules and that's
22 | the energy cost. And then we applied the model to assess
23 | the effects of disturbance, of anthropogenic disturbance
24 | on that energy budget.

25 | Q. And so you were looking at the consequences of

1 energy loss on the female gray whales?

2 A. Yes.

3 Q. Okay. And what consequences in particular were
4 you looking at?

5 A. So we look at different disturbance scenarios.
6 We focused on the foraging grounds, disturbance at the
7 foraging ground. So disturbance while they were feeding,
8 and the scenarios where -- on different aspects of the
9 life stages when the female was pregnant or when a female
10 was with a calf nursing or when a female was -- a single
11 female with no calf and no pregnancy.

12 Q. And did you -- you said you had two gray whale
13 studies or did you have -- how many gray whale studies
14 with bioenergetics did you have?

15 A. So we did two with gray whales.

16 Q. And one was in 2015?

17 A. Yes.

18 Q. And what was the focus or objective of that
19 study?

20 A. So the 2015 study focused on developing a
21 bioenergetic model for the Eastern North Pacific gray
22 whales, and building the -- estimating the consequences of
23 disturbance.

24 Q. And for that study were there any -- I assume
25 there were some unknowns. In science there are always

1 unknowns, but -- we have a lot in this proceeding. But
2 were there any primary unknowns in that study?

3 A. Yeah. So when we put together the bioenergetic
4 model, we took physiological parameters from the
5 literature, and there were a few parameters that we didn't
6 know, such as some physiological parameters like tidal
7 volume, which is the amount of air that they get into
8 their lungs. And that relates to determining the
9 energetic costs that they need for minimum, let's say the
10 metabolic rate. And some of the other unknowns where --
11 stages where we didn't know how long a female, a
12 particular female would stay at the foraging grounds or
13 migrating or at the breeding lagoons, like following
14 individual animals. Like, we took that as an average of
15 sightings of when the females are seen in the area, but --
16 so some of those would also be unknowns.

17 And also, some of the other aspects that we
18 couldn't incorporate into the model where -- body
19 condition, for example. We know that there is animals
20 that have been observed with different body conditions,
21 but we couldn't find a way to link a number to the body
22 condition into the model. So we couldn't get what, what
23 does it mean in terms of caloric content or energy that
24 the animal has regarding the different body conditions.
25 So that's one thing that we couldn't incorporate as well

1 | into the model.

2 | Q. And then a second study was in 2017?

3 | A. Yes.

4 | Q. Okay. And what was the objective of that study
5 | or the focus?

6 | A. So for that study we applied the bioenergetic
7 | model we developed for the Eastern North Pacific gray
8 | whales, we applied it to the western population, and
9 | estimated the two different models: The western
10 | population breeding in Baja, California and another
11 | population potentially or hypothetically breeding off of
12 | the western Pacific Coast off of China, and developed the
13 | same assumptions for and predictions for disturbance
14 | scenarios.

15 | Q. And for that study were there also some unknowns
16 | you had to deal with?

17 | A. Yeah. So for that study we had a little bit
18 | more unknowns, specifically regarding the population that
19 | we said that hypothetically breeds in China, because there
20 | not a lot of data available, and so a lot of those
21 | parameters for the model had to be taken from other
22 | populations.

23 | Q. And I think you've addressed this already, but I
24 | was going to ask you how you deal -- how you dealt with
25 | the unknowns, but I think you used some other data and

1 proxies to deal with them.

2 A. Yeah. So we used -- when the data was available
3 for other populations, we used the one that more closely
4 matched the one that we were looking at. And for the
5 physiological parameters we used data from other, some
6 other -- other species, a related species or, in the case,
7 for example, of tidal volume, where we have the data for
8 younger calves but not for older calves, we developed
9 linear regressions and estimated the data in that way.

10 Q. Is foraging particularly important to female
11 gray whales, foraging?

12 A. Yes.

13 Q. And why is that?

14 A. So the females are the ones that are going to
15 consume most of the energy in a population. And it's
16 particularly important for the females because in order
17 for them to have a successful reproductive event, they
18 need to acquire all the energy they need at the foraging
19 grounds. And they are only at the foraging grounds for a
20 limited amount of time, so 6 months or so out of the year.
21 So in order to fulfill all their year life stages, what
22 they go through in a year, they acquire that energy in
23 that limited amount of time.

24 Q. Okay. Thank you. Did your bioenergetics model
25 include certain assumptions related to disturbance?

1 A. Yes, it did.

2 Q. And what assumption was included?

3 A. So for our disturbance assumptions, we were
4 taking into consideration that a disturbance would cause
5 the animal to stop feeding or cessation of foraging, and
6 that was translated into energy losses. So those
7 energetic losses were then translated into how would that
8 effect that female. And we looked into different ways in
9 which it could effect the female by altering their
10 reproductive success, for example, losing a calf or
11 weaning a calf at an earlier age or, ultimately, if the
12 energy loss was big enough, the survival of the female
13 itself.

14 Q. I believe in your study you refer to these as,
15 quote, "biologically significant disturbances." Is that -
16 -

17 A. Yes.

18 Q. Okay. So in your papers, the 2015 and '17
19 papers, you describe a 4% threshold for a threshold for
20 energy loss. Can you describe the significance of this 4%
21 loss, this 4% threshold?

22 A. Yeah. So the 4% was the result we obtained from
23 our first disturbance prediction, and that prediction was
24 based on a female that was pregnant at the foraging
25 grounds. So the female that is pregnant at the foraging

1 grounds will be the animal that needs most of the energy
2 because we were considering that an animal that is
3 pregnant would need to acquire all the energy necessary
4 for her maintenance plus the maintenance of the fetus that
5 is growing, plus the energy that she needs to sustain that
6 calf once the calf is born, so lactation costs, all up
7 until the time that she goes back to the foraging ground.

8

9 And so the -- yeah, so then the female would
10 have to acquire all that energy at the time, at the
11 limited amount of time that she's at the foraging grounds,
12 and be able to get back to the foraging grounds with the
13 energy that she has in store, basically.

14 Q. And so how does the 4% figure in?

15 A. So, yeah, so then that 4% was a result of the
16 energy that would then, if you take away from that whole
17 budget that the female has for that year, it could cause
18 the female to forgo the pregnancy. Right? So if you
19 start off with a full tank, let's say, then you can
20 fulfill all of your energy requirement to grow the fetus,
21 to grow the calf, and then to nurse the calf. But then if
22 you start taking that energy out of your budget, then the
23 female is going to prioritize her own survival rather than
24 the survival of the fetus. And so, if you take that 4%,
25 it could cause the animal to not reproduce that year.

1 Q. Thank you. So in this proceeding, the witness
2 for the Makah Tribe, Mr. Scordino, testified that
3 according to your research there must be a minimum of 10
4 days of lost foraging before a pregnant female will abort
5 a calf. So let's take a quick look at --

6 MR. SOMMERMEYER: Could you pull up SV-3. Take
7 a quick look at where he apparently derives this
8 interpretation. SV-3 is down -- yeah.

9 MS. PRUETT: Okay. SVA-3. Sorry.

10 MR. SOMMERMEYER: That's all right. And go to
11 page 15. And scroll down a little bit to the bottom.
12 It's going to go bottom of the first column to the top of
13 the second.

14 MS. PRUETT: Sorry. I'm trying to make it
15 larger.

16 MR. SOMMERMEYER: Okay. So go down --

17 MS. PRUETT: Yep.

18 BY MR. SOMMERMEYER:

19 Q. Okay. So in this -- is this -- oh, yeah,
20 actually -- I'm sorry. We should have you identify this
21 paper.

22 MR. SOMMERMEYER: Do you want to quickly go to
23 the top and we'll come right back.

24 BY MR. SOMMERMEYER:

25 Q. So do you -- it should be on the screen next to

1 | you. Do you recognize this paper?

2 | A. Yes.

3 | Q. This is your 2015 analysis?

4 | A. Yes.

5 | Q. With bioenergetics?

6 | A. Yes.

7 | MR. SOMMERMEYER: So -- sorry -- go back. And
8 | for the record, it's -- again, it's SVA-3, to her rebuttal
9 | declaration.

10 | BY MR. SOMMERMEYER:

11 | Q. So at the bottom, I'll just read it. It says:
12 | "Energy loss from our model can be translated to days of
13 | disturbance via various foraging reduction scenarios. For
14 | example, assuming 1 day of disturbance equals 1 day of
15 | lost foraging, and females forage the entire time at the
16 | foraging grounds, 10 days of disturbance equals a loss of
17 | 5% of the energy" -- we'll go to the top -- "required to
18 | successfully complete Phase 1. In this case, 10 days of
19 | lost foraging will result in an unsuccessful pregnancy."

20 | Do you agree with Mr. Scordino's interpretation
21 | of this paragraph?

22 | A. So this was an example, not -- I don't agree
23 | that it should be interpreted in that way because the
24 | context in which it was written was as an example of how
25 | the bioenergetic model could be applied. So it says there

1 | that it's an example and it assumes that 1 day of
2 | disturbance equals 1 day of lost foraging, and the females
3 | are foraging for the entire time they're at the foraging
4 | grounds. So it's just an example of how you can apply it
5 | when you have that information available.

6 | But in our case, we are not talking about the
7 | percentage of time that the females spend foraging when
8 | they're at the foraging grounds or how many days out of
9 | the whole time that they are at the foraging grounds they
10 | forage. So if -- assuming that they forage every single
11 | day and 1 day of disturbance or one disturbance cessation
12 | of foraging for 1 full day, you can translate that into
13 | days. But it was just given as an example, because we
14 | don't have that data to say this is a fact, this is what
15 | happens.

16 | Q. So it's essentially also assuming then that the
17 | female whale has a full tank, as you say?

18 | A. Yes.

19 | Q. Okay. So in your expert opinion do you believe
20 | that the application of the 4% threshold would be
21 | different for, for example, an energetically depleted
22 | pregnant female arriving in the Makah U&A during its
23 | northward migration?

24 | A. Yeah. So that 4% -- so when we did the study,
25 | we provided the numbers with 95% confidence intervals. So

1 we incorporated uncertainty in all of the parameters, and
2 so that 4% is actually a range between 1.6% and 6%. And
3 so that means that an animal, depending on the situation
4 of the animal, the size and the body condition, could
5 range from losing 6 to 1 percent could affect the
6 pregnancy of the female.

7 And so, the thing that we weren't able to
8 incorporate in the model was body condition, as I said
9 before, and depending on the body condition of the animal,
10 they are going to be able to sustain a greater amount of
11 energy losses or less than that. And so, let's say that
12 an animal is in an emaciated condition or with very poor
13 body condition, that disturbance is going to affect the
14 female in a greater way than a female that has, for
15 example, better body condition or more energy reserves.

16 Q. Okay. Thank you. So even assuming that a 4%
17 threshold would be appropriate for such depleted whales,
18 must the energy be lost all at once or can you reach the
19 threshold gradually over time?

20 A. So our model was simulated based on the foraging
21 grounds, on lost foraging opportunities or cessation of
22 foraging. But we stated that the model could be applied
23 to any sort of energy losses along their migratory route
24 or in the breeding grounds. So if they start off with a
25 full tank and a whole budget to accomplish all those

1 | phases, right -- the migration, the breeding, and then
2 | back again north migration -- that energy loss could be
3 | either at the foraging grounds and not acquire all the
4 | energy that they needed to begin with, or that energy
5 | could be lost along the way, right, on the migration or in
6 | the breeding grounds. And so if they lose that energy out
7 | of their budget because they are away from their foraging
8 | grounds and they cannot replenish that energy, then you
9 | will see consequences.

10 | Q. So such as energy lost gradually through
11 | exposure, to other disturbances, for example, on their
12 | northward migration?

13 | A. Yes.

14 | Q. Okay. So when or -- excuse me -- does when in
15 | terms of time of year a particular disturbance takes place
16 | make a difference?

17 | A. So as we stated in the paper, depending on the
18 | time of the year, disturbance could affect the whales in a
19 | different way. Disturbance at the beginning of the
20 | foraging season, for example, would potentially be --
21 | cause a greater effect because the animals at that point
22 | have been fasting for 4, 5 months or more. And so, when
23 | they reach the foraging grounds, they are in their worst
24 | body condition, right? And so, a disturbance at that
25 | point could give them less leeway to lose energy before

1 | they face consequences or the effects of disturbance,
2 | rather than if it happens, for example, later when the
3 | animal has already replenished a little bit of the energy.

4 | Q. Okay. Are there any particular gray whales that
5 | would be more susceptible to disturbance than others?

6 | A. So in our model, we show that because the
7 | pregnant females are the ones that require most of the
8 | energy, the pregnant females are the ones that are more
9 | susceptible for losing energy, because those are the ones
10 | -- their results of a disturbance in areas, the ones that
11 | if they lose about 4% will range between 2 to 6%, they
12 | could forgo their pregnancy or abort the calf and not
13 | reproduce that year. The females that are nursing calves
14 | are also vulnerable because they are also a tight,
15 | energetic budget because they need to produce the milk and
16 | nurse the calf. But the ones that are most vulnerable are
17 | the pregnant females.

18 | Q. Okay. Great.

19 | MR. SOMMERMEYER: Actually, I'm sorry, I meant
20 | SV-3. Sorry.

21 | UNIDENTIFIED SPEAKER: 3?

22 | MR. SOMMERMEYER: SV-3, yeah.

23 | UNIDENTIFIED SPEAKER: We were on 3.

24 | MR. SOMMERMEYER: Yeah. Sorry.

25 | UNIDENTIFIED SPEAKER: You want to stay on 3?

1 MR. SOMMERMEYER: Yeah. We got to go back to 3,
2 and go to -- let's -- actually go to -- we've already --
3 okay, so that's SVA-3 again. Page 3. Okay. Can you make
4 the diagram big then? Thank you.

5 BY MR. SOMMERMEYER:

6 Q. So, Dr. Villegas-Amtmann, can you look at Figure
7 1 and kind of just describe what that is first?

8 A. So Figure 1 is describing the duration of the
9 stages of female gray whales over a 2-year reproductive
10 cycle. And so, it describes how long the female, whether
11 she's pregnant or not, how long she stayed at the foraging
12 grounds, at the breeding grounds, and the duration of the
13 north and the south migrations.

14 Q. What does it indicate with regard to the
15 pregnant female gray whales?

16 A. So for the pregnant whales, it shows how they
17 start their southbound migration in mid-November until the
18 end of December. And then their north migration would be
19 from mid-March till the end of April, beginning of May,
20 and their arrival at the foraging grounds from beginning
21 of May, and they stay on the foraging grounds until about
22 like mid-November.

23 Q. Thank you. Are you familiar with the time
24 period covered by the, what's called the even year hunt
25 proposed by NMFS in this proceeding?

1 A. Yes.

2 Q. And what is that time period?

3 A. They propose to hunt from, I believe December
4 1st from the previous year until May 31st of the even
5 year, correct?

6 Q. Right. The 31st, you said? Yes.

7 A. Yeah, May 31st.

8 Q. Right. So given this timing, will that hunt
9 have a negative effect on pregnant female whales, gray
10 whales?

11 A. Well, based on their migratory patterns and
12 their arrival times at the foraging grounds, they would
13 overlap for about a month. So they would potentially
14 overlap the hunting season with the female -- with the
15 pregnant females at the foraging grounds.

16 Q. And so, and would there -- what would be the
17 negative effect of that overlap?

18 A. Well, pregnant females, like I said before, are
19 the most vulnerable in the population because they -- with
20 a little bit of energy loss, they can have consequences,
21 like not bringing -- not successfully producing a calf
22 that year. And so, that is just basically overlapping
23 those pregnant females that are the first to arrive at the
24 foraging grounds with a potential disturbance.

25 Q. So how easy is it to identify a pregnant gray

1 | whale?

2 | A. I believe it's not possible. When we were
3 | trying to get data from respiration rates for the
4 | different females, from pregnant or non-pregnant females,
5 | because that would make the model -- well, that would be a
6 | variable in the model that would give us a little bit more
7 | information about the energetic requirements of the
8 | different life stages, but I couldn't find any paper that
9 | where they could record breathing rates of females in
10 | their different life stages, let's say a pregnant versus
11 | non-pregnant. So I think it's not possible.

12 | Q. Thank you. In your opinion, would a pregnant
13 | female gray whale that is subject to a biologically
14 | significant disturbance be able to alleviate the
15 | associated energy loss by feeding or resting?

16 | A. So I think that will depend on when the
17 | disturbance happened. So if the disturbance happened
18 | outside the foraging grounds, the animal is not going to
19 | be able to replenish their energy stores because there's
20 | no food once they leave the foraging grounds.

21 | If it happens at the foraging grounds, yes,
22 | potentially they could go find another foraging area,
23 | foraging patch, and replenish their energy stores. But by
24 | resting, no, because by resting you don't get back that
25 | energy that you lost. So you basically need to -- if you

1 | lose part of your energy that you need for that budget for
2 | that year, you would need to replenish it to compensate.

3 | Q. Okay. So, also in your opinion, if
4 | environmental conditions have reduced foraging
5 | opportunities, would that fact impact a gray whale's
6 | ability to alleviate the negative energy consequences of a
7 | disturbance?

8 | A. Can you repeat that question?

9 | Q. Sure. So, in your opinion, if environmental
10 | conditions have reduced foraging opportunities, would that
11 | fact impact a gray whale's ability to alleviate the
12 | negative energy consequences of a disturbance?

13 | A. Yeah. So environmental variability and climate
14 | change, so we are not sure how those things affect the
15 | prey resources of the whales. If there is disturbance in
16 | a particular foraging patch or foraging area, they could
17 | potentially move to a different foraging area and continue
18 | foraging, but we don't know how the environmental change
19 | might affect the distribution of their prey resources, if
20 | they're going to be able to find another patch soon enough
21 | and with a good enough quality of food to replenish those
22 | energy stores that have been lost. And also another
23 | example would be animals that are foraging a certain
24 | depth, if they move from one patch to another one, the
25 | location of the foraging patch is also important. Because

1 | if they go to a patch that is located in deeper water,
2 | that implies greater diving effort for the females and
3 | it's more energy that they need to spend foraging at that
4 | particular patch than at the one that they would've been
5 | foraging at. So, yeah.

6 | Q. Thank you. In your opinion, if a WNP whale, a
7 | Western North Pacific whale, were subject to a hunt-
8 | related disturbance, is it more susceptible to such a
9 | disturbance than an ENP gray whale?

10 | A. Yes. So the Western North Pacific will be more
11 | susceptible because, for one, their migration route is
12 | longer than for the ENP, so they require a little bit more
13 | energy to accomplish that migration and to get the
14 | foraging ground, and the population is smaller. So any
15 | disturbance would affect the western population in a
16 | greater matter that would do for an Eastern one.

17 | Q. Thank you. So now let's just slightly switch
18 | topics. Did you review the testimony of Mr. Scordino and
19 | Dr. Weller concerning the Chukotka native hunts of gray
20 | whales?

21 | A. Yes.

22 | Q. Did you review the reports from the Russian
23 | federation scientist attached to Mr. Scordino's and Dr.
24 | Weller's declarations?

25 | A. Yes.

1 Q. So from your review of these documents and
2 testimony, in your opinion do the Russian reports support
3 the conclusion that there is no evidence that Chukotkan
4 hunts cause shifts in gray whale distribution or
5 abundance?

6 A. Based on what the reports that I read, I found
7 that there is no way to link that conclusion with the data
8 that is given, because they weren't focusing their report
9 on behavioral responses of the animals, or they weren't
10 particularly looking at the effects of the hunt in that
11 population. They were just assessing -- to my
12 understanding, they were just assessing the patterns of
13 the stock of the whales.

14 Q. Do the reports actually make any reference to
15 the effect of the Chukotkan hunts on gray whales?

16 A. Can you repeat that question?

17 Q. Yeah. Do the reports actually, do they actually
18 make any reference to the effect of the hunts on the gray
19 whales in the area?

20 A. No. I couldn't find any information where they
21 were looking specifically at the effect of the hunt.

22 Q. Okay. So now, for the sake of argument only,
23 let's assume that the distribution and abundance of gray
24 whales in the vicinity of the Chukotkan hunts are
25 unaffected by the hunts of gray whales. If this

1 | assumption were true, do you have an explanation for why
2 | the distribution and abundance would not change?

3 | A. So I think that based on their migratory route
4 | and depending on whether the Chukotkan area is an
5 | important area for the animals to replenish their energy
6 | stores, let's say, on their migration north or on their
7 | pathway to reaching other foraging grounds, they are --
8 | the gray whales are very much consistent in their
9 | migratory routes. And so, if they -- if these animals are
10 | going north and they already having depleted energy stores
11 | and they need to replenish those energy stores, they might
12 | not afford physiologically that extra cost that will cause
13 | a deviation from their migratory route or not stop over at
14 | that foraging ground in particular if that's an important
15 | foraging ground for them. And so, they might just
16 | consider exposing themselves to the disturbance in order
17 | to prioritize their survival.

18 | Q. So it's a good restaurant in a bad neighborhood?

19 | A. Yeah, probably.

20 | Q. All right. Let's take a closer look at one of
21 | the reports.

22 | MR. SOMMERMEYER: Can you put Exhibit 23, the
23 | first Scordino declaration, on the screen? And, I'm
24 | sorry, go to --

25 | BY MR. SOMMERMEYER:

1 Q. So for the record, this document at Exhibit 23,
2 the first declaration of Jonathan Scordino, Dr. Villegas-
3 Amtmann, have you reviewed this document? It's on your
4 screen there, too.

5 A. Yes.

6 Q. Let's turn to page 7, Figure 4. So the figure
7 in -- the table in the lower left, the lower left table,
8 what is that depiction here?

9 A. That table is showing the percentage of
10 yearlings that are being harvested in the different
11 regions that they're harvesting the whales.

12 Q. And so what conclusions do you draw from this
13 table?

14 A. So what I can see from this table is that there
15 were no yearlings taken in the central region and then in
16 the western area where whaling was happening, that the
17 percentage of yearlings that they hunted over the years
18 declined from 2007 to 2010.

19 Q. And do you have any conclusions, any
20 observations based on this table?

21 A. So that paper did not specify or discuss the
22 data or interpret these results. And so one thing that I
23 can think of is either they are not targeting yearlings
24 anymore from 2007 to 2010, they stopped for some reason on
25 purpose catching yearlings, or the other explanation could

1 | be that the number of yearlings decreased over the years
2 | because the females are producing less calves. Right? So
3 | the potential disturbance to the females would make them
4 | not reproduce as often, and then there's less percentage
5 | of the yearlings being recruited in the population in the
6 | following year. So --

7 | Q. Thank you. Believe it or not, one final
8 | question for me for now. So based on your review of the
9 | materials in this proceeding and in your expertise, in
10 | your opinion, should a waiver be granted to the Makah
11 | Tribe?

12 | A. So based on what we found in our model, that
13 | there are a lot of unknowns to link the effects of
14 | anthropogenic disturbance to biologically significant
15 | effects on the gray whales. We identified that there are
16 | a lot of data that -- like the distribution of their prey,
17 | behavioral responses, for example, of how the animals
18 | react to a disturbance, right, if they are able to
19 | compensate of the disturbance by moving to a nearby
20 | foraging patch or if that disturbance affects them in a
21 | different way, because we don't know how easy it is for
22 | them to find another patch of the same quality. We also
23 | don't know how many days they can forage or they forage
24 | when they're at the foraging the grounds, the frequency.
25 | There are some studies that have shown that there are some

1 behavioral responses to disturbance, but those studies
2 haven't linked quite yet physiological effects.

3 So I believe that we need more information on
4 how the animals are affected by these disturbances, how
5 they affect their lifecycle, right, their reproductive
6 rate. And because at this moment, the whales are also
7 experiencing the UME and they're faced also with
8 environmental changes that we don't know what
9 environmental changes are going to mean for the whales.
10 So for some, it might mean that they are going to have
11 more foraging grounds open for them, but for some it might
12 mean that the distribution just changes and then it will
13 make it harder for the animals to reach those foraging
14 grounds. So I think there's a mix of a lot of unknowns
15 and data gaps that in a precautionary way, I would -- I
16 wouldn't suggest to input another source of disturbance at
17 the moment until we know a little bit more about the
18 effects of the disturbances they're already facing.

19 MR. SOMMERMEYER: Thank you very much. No
20 further questions.

21 **CROSS-EXAMINATION**

22 BY MS. IMAKI:

23 Q. Good afternoon, Dr. Villegas-Amtmann.

24 A. Good afternoon.

25 Q. My name is Caitlin Imaki, and I represent NOAA

1 Fisheries. I'm one of the attorneys for NOAA Fisheries in
2 this matter. So I have some questions about your
3 declaration and the associated exhibits, and a few follow-
4 up questions from your testimony that you just gave. I'll
5 try to speak clearly, but if you don't understand my
6 question for any reason, please ask me to rephrase or
7 repeat.

8 Dr. Villegas-Amtmann, what was your goal in
9 preparing testimony today?

10 A. My goal for preparing the testimony?

11 Q. Preparing your declaration.

12 A. Well, my goal was to give my expert opinion on
13 disturbance of gray whales based on the work that I've
14 done with bioenergetic models of gray whales.

15 Q. And when did Sea Shepherd retain you to testify
16 in this case?

17 A. I believe they contacted me in June.

18 Q. June of this year?

19 A. Yes.

20 Q. Okay. And what was your reaction when they
21 explained to you what this case was about?

22 A. So I wasn't very familiar with the case. I read
23 a little bit about it, and because they were interested in
24 the work that I did with the bioenergetic models of the
25 gray whales, I agreed; I agreed to provide my opinion.

1 Q. Okay. And did you understand your role to be as
2 an advocate for whales in this case?

3 A. Yes.

4 Q. How many hours did you spend preparing your
5 declaration?

6 A. I don't know. Like anywhere from maybe 30 hours
7 or less. Like I'm -- I didn't keep count, but I would say
8 roughly somewhere around there.

9 Q. All right. And who wrote the first draft of
10 your testimony?

11 A. I did.

12 Q. Would you please describe for us the level of
13 involvement of counsel in editing or reviewing your
14 testimony?

15 A. So Sea Shepherd provided me with documents, the
16 declarations of Scordino and Weller, and they provided me
17 with the documents, the purpose of hunts, documents from
18 the Makah and the cited papers. And -- yeah, based on
19 that, I prepared a draft of my testimony, my declaration.
20 And then they just provided comments on it, and we just
21 emailed like back and forth.

22 Q. Okay. Did they provide you any other documents
23 other than the ones you named?

24 A. Yes. I believe, yeah; they provided me with a
25 ton of documents, so -- yeah.

1 Q. Do you recall any others that they provided you
2 with, or the nature of those documents?

3 A. So papers mostly, and the declarations and the
4 proposed rule agenda, and other documents of the sort.

5 Q. Okay. And when you say papers you mean
6 scientific journal articles?

7 A. Yes.

8 Q. Okay. And the proposed rule is the proposed
9 rule and regulations that NMFS has proposed; is that
10 correct?

11 A. I can't say because I don't remember exactly
12 what ones, so --

13 Q. Okay. Do you know whether you reviewed the
14 Proposed Rule and Regulations before you worked on your
15 declaration?

16 A. Yes. So that's the -- I believe that that's --
17 I don't remember the name, but I believe that's the
18 Proposed -- I have it here. Yeah, that's the one that
19 talked about the odd year hunt and the even year hunts?

20 Q. Those are discussed in the Proposed Rule and
21 Regulations, but I'm not sure if that's --

22 A. Yes.

23 Q. -- the same document.

24 A. So yeah. Yes, I have that document.

25 Q. All right. And you mentioned that you exchanged

1 | some emails with counsel. Can you explain the nature of
2 | their edits to your declaration?

3 | A. They forwarded my declaration when it was done.
4 | I included more information than the one that was included
5 | in my final declaration, because I was -- maybe I was
6 | going too broad in other subjects that weren't
7 | specifically more to direct my -- the paper, the
8 | scientific papers that I wrote. And so some of those were
9 | shortened, cut out from my declaration and -- yeah.

10 | Q. Did they provide any other comments on the
11 | substance of your declaration, citing or eliminating some
12 | sections?

13 | A. They might have provided some comments or
14 | opinions that I also agreed with, and -- yeah, for
15 | including in my testimony.

16 | Q. Okay. Thank you. Did you receive help or
17 | assistance from anyone else preparing your testimony or
18 | your declarations today other than counsel for Sea
19 | Shepherd?

20 | A. No.

21 | Q. Okay. Thank you. If I may ask, did Sea
22 | Shepherd compensate you for preparing testimony in this
23 | case?

24 | A. Not yet.

25 | Q. Do they -- do you know whether they intend to?

1 A. I believe so, but we haven't like talked much
2 about it, so -- yeah.

3 Q. Okay. So you don't -- you're not under contract
4 or anything for a particular amount?

5 A. No. We haven't talked about a particular
6 amount, no.

7 Q. Okay. All right. Let's move on to some of the
8 contents of your declaration. At the beginning of your
9 declaration you talk about your disagreement with
10 Mr. Scordino and Dr. Weller, and you assert that they
11 inappropriately discounted the effects of the Chukotkan
12 hunt and the training approaches on gray whales; is that
13 correct? It's approximately paragraph 7 to 9, and you
14 repeat it again in paragraph 23.

15 A. That I disagree with the statements, yes.

16 Q. Okay. And would you please explain for us your
17 understanding of how the Chukotkan subsistence hunts are
18 conducted?

19 A. Can you repeat the question?

20 Q. Sure. Would you please explain your
21 understanding of how the Chukotkan subsistence hunts are
22 conducted?

23 A. You want me to tell you like what I understand
24 from documents that I got of how the whaling happens?

25 Q. Based on your understanding from whatever

1 | information you have --

2 | A. Yes.

3 | Q. -- your understanding of how those hunts in
4 | Russia are conducted.

5 | A. Oh, the Chukotkan?

6 | Q. Correct.

7 | A. So what I -- the information that I got from
8 | these papers that were provided to me, is that they have
9 | three areas in which they hunt the whales: the western,
10 | the central, and the eastern, I believe.

11 | Yeah. So, and they mention -- gulf, the
12 | western, central, and the eastern, where the hunts are
13 | being performed. And the area that is most intensely
14 | hunted is the western area.

15 | Q. And is your understanding of the Chukotkan hunt
16 | based solely on these documents that you received from Sea
17 | Shepherd's counsel?

18 | A. Yes.

19 | Q. And so it's safe to say that you didn't do any
20 | independent research about the nature of the Chukotkan
21 | hunt prior to opining on it in your declaration; is that
22 | correct?

23 | A. Correct. I'm just discussing the papers that
24 | were provided.

25 | Q. Okay.

1 A. Yes.

2 Q. So based on the papers you reviewed, could you
3 tell what kind of boats are used in the Chukotkan
4 subsistence hunt?

5 A. No.

6 Q. Okay. And have you reviewed -- you said you
7 reviewed the hunt regulation being proposed by NMFS that
8 would govern the Makah Tribal hunt, correct?

9 A. Correct.

10 Q. So do you have an understanding of how the
11 Chukotkan hunt would compare with the proposed Makah
12 ceremonial and subsistence hunt in terms of how the hunts
13 are conducted?

14 A. I'm not really familiar with the method in which
15 the Chukotkan hunts are happening, so I couldn't say for
16 sure that I know how they compare.

17 Q. Okay. And would you be surprised to learn that
18 the Chukotkan hunts are conducted solely by motorized
19 vessels?

20 A. No.

21 Q. Okay. And the Makah hunt, particularly the many
22 approaches that are allowed under the regulation, if
23 you'll -- attached to our exhibits that we submitted with
24 the Proposed Rule and Regulation, NMFS Exhibit 1-7 and
25 page 31. We can pull this up if you'd like, but it does

1 | say that most of the approaches would likely involve
2 | paddle-driven canoes compared with the motorized vessels
3 | used in the Chukotkan hunt. Would that surprise you?

4 | A. No.

5 | Q. Okay. But you weren't aware of that
6 | information?

7 | A. I was.

8 | Q. You were aware of that information?

9 | A. About the Makah hunting? Yeah, I read the
10 | proposed hunting for the Makah, and so I was aware that
11 | they were using canoes and then motorized boats to haul
12 | the whale.

13 | Q. Okay. So the information you were not aware of
14 | was the motorized vehicle used by the Chukotkan hunt?

15 | A. Exactly.

16 | Q. Okay. Thank you. Dr. Villegas-Amtmann, do you
17 | know how many gray whales the Chukotkan natives have
18 | removed from the population in recent years?

19 | A. Based on their numbers, the last year, 2010,
20 | 118.

21 | Q. 118?

22 | A. In 2010.

23 | Q. And do you have an idea of how long the
24 | Chukotkans have been removing gray whales from the stock?

25 | A. I believe quite a while, but I'm not completely

1 | certain about when they started.

2 | Q. Okay.

3 | MS. IMAKI: Can you pull up Exhibit 1-7?

4 | BY MS. IMAKI:

5 | Q. Dr. Villegas-Amtmann, I would just direct you to
6 | the bottom of page 30. This is NMFS Exhibit 1-7 that was
7 | submitted as an attachment to Mr. Yates' declaration in
8 | this matter. And I would -- if I could just ask you to
9 | read that last sentence.

10 | MS. IMAKI: Or actually, we need to scroll up a
11 | little so the whole sentence is visible. Thanks.

12 | BY IMAKI:

13 | Q. Beginning at "Since the 1950s."

14 | A. Where is the sentence?

15 | Q. I'm sorry. It's at the very bottom of page 30
16 | of 89, and it's the last sentence that begins on that
17 | page.

18 | A. Oh, yes. Yes. "Since the 1950s, Chukotkan
19 | hunters have hunted an average over 100 Eastern North
20 | Pacific gray whales per year, and an average of 126 whales
21 | per year during the past decades."

22 | Q. Okay. Thank you. So based on this, it would
23 | seem that for nearly 70 years the Russians have removed
24 | over 100 whales from the ENP population on an annual
25 | basis; does that look to be correct?

1 A. Yes, it looks like --

2 Q. Okay. And are you familiar with how that number
3 compares with the proposed number of whales that would be
4 removed under the Makah ceremonial and subsistence hunt?

5 A. Yes.

6 Q. And how many whales would that be for the Makah?

7 A. So they are proposing to remove less whales than
8 what the Chukotkans are removing.

9 Q. Are you familiar with how many whales are being
10 proposed to be removed?

11 A. I have it here, but a few, 2, 10 -- yeah, I have
12 it here, but fewer. So fewer, yeah.

13 Q. So you're not exactly sure, but fewer?

14 A. Fewer.

15 Q. Okay. I believe it's 2.5 per year on average.

16 A. Um-hum.

17 Q. Over 10 years. Does that sound correct?

18 A. Yes.

19 Q. Okay. So the declaration that you submitted, is
20 it safe to say that it does not compare how these two
21 hunts are conducted?

22 A. In my declaration?

23 Q. Yes.

24 A. My declaration compares that?

25 Q. Yes.

1 A. No, it doesn't.

2 Q. Okay. And it does not compare the number of
3 whales that might be removed from each of these two hunts;
4 is that correct?

5 A. Correct.

6 Q. And does your declaration cite any evidence to
7 suggest that the Chukotkan hunt that we just discussed has
8 actually caused any shift in gray whale distribution or
9 abundance in the hunt area?

10 A. No, my declaration does not say that.

11 Q. Okay. And Dr. Villegas-Amtmann, are you
12 familiar with the population abundance trends of the
13 Eastern North Pacific gray whales stock?

14 A. Yes, somehow.

15 Q. Are you familiar with the numbers in recent
16 years and how they've changed?

17 A. I believe it's increasing.

18 Q. Do you know how much it's been increasing?

19 A. It's about like 22-, 27,000.

20 Q. And do you understand from what level it's been
21 increasing?

22 A. I don't have an in-depth knowledge of how the
23 population trend's been going on. I just know the recent
24 numbers.

25 Q. Okay.

1 MS. IMAKI: Steve, could I ask you to pull up
2 NMFS Demonstrative -- I can't remember which number it is.
3 I think it's 3. The one with the population abundance.
4 Sure.

5 And I'm going to pull this up on the screen as
6 well. It'll be easier to look at. I don't have my pointer
7 but I think we'll be okay.

8 BY MS. IMAKI:

9 Q. So based on -- this is a demonstrative that's
10 been submitted into evidence or submitted as part of this
11 hearing, and it's based on evidence that's in the record.
12 And if you would take a look at this. It begins -- this
13 data here begins in 1967, and the whales numbered -- I'm
14 guessing 14,000 based on that graph. And they have
15 continued to rise until the most recent numbers, which are
16 close to 27,000. Does that look to be about correct?

17 A. Yes.

18 Q. Okay. And you would agree that this increase
19 has occurred despite whatever energy loss the Chukotkan
20 hunts have had on the ENP gray whales?

21 A. Yes.

22 Q. Okay. Thank you.

23 I'd like to next turn to the assertion that you
24 make in paragraph 9 of your declaration. And you assert
25 that studies have shown -- this is -- this is evidence at

1 paragraph 9, that extending migratory routes or
2 alternating migrating speed in order to avoid a
3 disturbance is energetically costly for whales. Is that
4 correct?

5 A. Correct.

6 Q. And you go on to assert, and I believe you spoke
7 about this just a little while ago, that whales may
8 essentially choose to face the risk of being hunted rather
9 than expending energy required to change their
10 distribution so that they would avoid the hunting area.
11 Is that also correct?

12 A. Correct.

13 Q. Are you saying that whales can make a conscious
14 choice to face the hunting risk or avoid an area?

15 A. I assume so, yes.

16 Q. Okay. I'd like to look at the study you relied
17 on for this assertion, which I understand is Exhibit 2 to
18 your declaration, and this is a study by Braithwaite et
19 al. (2015). And as I read it, it says: Study that
20 explains the bioenergetic model for migrating humpback
21 whales. Do you recall that study?

22 A. Yes.

23 Q. Okay. And the model simulated energetic
24 consequences of disturbance through increase swimming
25 speed and increased travel distance. Does that sound

1 right?

2 A. Yes.

3 Q. And the model then went on to assess changes to
4 the growth rate of calves under those two disturbance
5 scenarios; is that right?

6 A. Yes.

7 Q. And do you recall how much additional distance
8 the authors found that a whale would have to swim to
9 result in a 10% percent reduction in calf growth?

10 A. Not off the top of my head, no.

11 Q. Okay.

12 MS. IMAKI: Rachel, could you pull page 11 of
13 that exhibit, please?

14 BY MS. IMAKI:

15 Q. So as I understand this, not being a modeler,
16 again this looks like it's giving an example of the
17 results from the model, as you explained that earlier
18 today in your testimony, how to draw examples. And it
19 says, for example, a migration journey with an extra 850
20 kilometers resulted in a 10% reduction in calf growth.

21 So is it safe to say that based on the results
22 of this model, they are predicting that a whale would need
23 to swim an extra 850 kilometers to result in a 10%
24 reduction in calf growth?

25 A. Correct.

1 Q. Okay. And do you recall whether this study made
2 any predictions about how much a whale would need to swim
3 in order to avoid mortality of calves?

4 A. I don't remember.

5 Q. And do you recall whether it made conclusions
6 about mortality of females?

7 A. I don't remember.

8 Q. Okay. Do you recall whether this study
9 discussed whether the kind of 10% production in calf
10 growth was biologically meaningful to the population?

11 A. If the study addressed that?

12 Q. Yes.

13 A. No, I don't remember.

14 Q. Okay. Dr. Villegas-Amtmann, are you familiar
15 with the size of the Makah usual and accustomed hunting
16 area?

17 A. No.

18 MS. IMAKI: Okay. We can pull this up, but I
19 will just let you know, and folks can look at NMFS Exhibit
20 1-7 at page 87.

21 BY MS. IMAKI:

22 Q. Would you be surprised to learn that the Makah
23 hunt area is approximately 30 by 50 miles? Which by my
24 calculation equates to 48 by 80 kilometers. So -- this is
25 NMFS Exhibit 1-7. So comparing this to the previous study

1 that you cited for this proposition, in this case
2 theoretically the farthest that a Makah whaling boat could
3 displace an individual, given maximum scenario here, would
4 be approximately 80 kilometers. Would you agree?

5 A. Yes.

6 Q. Do you think it's realistic that a whale would
7 swim 80 kilometers to get away from a whaling team?

8 A. I couldn't say because I am not -- I haven't
9 done any study to look at how the animals react to a
10 disturbance like that.

11 Q. Okay. Fair enough. Do you know of any data
12 showing that humpback whales or any other whales have
13 diverted 850 kilometers to avoid disturbance?

14 A. No, I'm not familiar with the distances.

15 Q. Okay. Thank you. All right, I'd like to move
16 on to your bioenergetic models that you've discussed in
17 your declaration and earlier today, and these are Exhibits
18 3 and 4 to your declaration, correct?

19 A. Yes.

20 Q. Okay. And Exhibit 3 was your 2015 paper and
21 Exhibit 4 was your 2017 paper. And you cite specifically
22 to the 2015 paper to support your assertion that you first
23 talk about in paragraph 10 of your declaration, and this
24 has to do with the 4% figure that you've already discussed
25 today. And that 4% is the projected annual energetic loss

1 | during a year in which a female whale is pregnant that
2 | would prevent that female from successfully weaning a
3 | calf. Does that sound correct?

4 | A. Yes.

5 | Q. Okay. And the model described in Exhibit 3,
6 | which is the 2015 paper, goes on to predict that to affect
7 | adult female mortality, the destruction would need to
8 | result in approximately 40 to 42% loss in the annual
9 | energy budget; is that correct?

10 | A. Correct.

11 | Q. Now the second model that you worked on also
12 | looked at the potential consequences of energy loss, but
13 | it specifically compared the energy budgets of Western
14 | North Pacific individuals with Eastern North Pacific gray
15 | whales; is that right?

16 | A. Yes.

17 | Q. Okay. And that second study predicted female
18 | mortality would likely occur for a Western North Pacific
19 | gray whale if she experienced a 38 to 40% energy loss over
20 | the course of a reproductive cycle; is that right?

21 | A. Yes.

22 | Q. And both of the assumptions -- both of these
23 | models made a number of assumptions, some of which you
24 | spoke about earlier. And one that I understand was true
25 | for both was that the whales did not feed outside of the

1 foraging grounds; is that correct?

2 A. Correct.

3 Q. So for either model, is it true that any
4 additional foraging effort or prey consumption outside of
5 the foraging grounds would buffer the female and make her
6 less sensitive to disturbance?

7 A. It would depend on the quality of the food
8 patch. And based on the data that we reviewed for that
9 matter, we found that there are some occasional feeding
10 outside of the foraging grounds, but it wasn't substantial
11 enough to be able to sustain the energetic needs of the
12 whales to be able to accomplish all of the phases of their
13 reproductive cycle.

14 Q. I see. But you would agree then that any
15 additional foraging would buffer the female; is that
16 correct?

17 A. Depending on the energy losses and depending on
18 the amount of energy they lose and the amount of energy
19 that they are able to replenish on those occasional
20 foraging patches.

21 Q. And those may be part of the unknowns that you
22 were speaking about earlier?

23 A. Yes.

24 Q. Okay.

25 MS. IMAKI: Rachel, could you pull up -- hold on

1 one second. Exhibit 2, page 13. I'm sorry, 3 not 2.

2 Thanks. Yeah, page 13.

3 BY MS. IMAKI:

4 Q. So I just -- just to make sure we're on the same
5 page, I'd like to ask you to read the sentence on the
6 right-hand column. This is the 2015 paper, Exhibit 3.

7 A. Um-hum.

8 Q. And it's the last sentence on the right-hand
9 column prior to the last paragraph, that starts with
10 "Furthermore" after the citation of Oliver et al. 1983.
11 Do you see that part of the paper?

12 A. Second column? Second column?

13 THE COURT: This is, it appears to be page --

14 MS. IMAKI: Yup. Rachel's going to highlight it
15 for us on the screen.

16 THE WITNESS: Oh, okay.

17 BY MS. IMAKI:

18 Q. Right here. Yep, starting there.

19 A. Yes, yes. "Furthermore, our assumption is
20 conservative and any prey consumption outside of the
21 foraging grounds would buffer the female, making her less
22 sensitive to disturbance and any associated time lost on
23 the foraging grounds."

24 Q. And do you still agree with that statement?

25 A. I do.

1 Q. Okay.

2 MS. IMAKI: Okay. Can you pull up Exhibit 4,
3 page 178, please?

4 BY MS. IMAKI:

5 Q. I would like also, just for the sake of
6 completeness, ask you to read a passage from your second,
7 2017 paper. This is talking about the limitations of the
8 model. It's on page 178, the top of the second column.
9 It actually begins at the bottom of the first column. And
10 it starts with the "Additional analyses." Would you read
11 that?

12 A. "Additional analyses will be needed to determine
13 how disturbance affects energy intake."

14 Q. And continue on to the next column, please.

15 A. "Those efforts will need to address how the gray
16 whales' foraging behavior could change in response to
17 disturbance, whether they can compensate by increasing
18 foraging effort, how much energy is lost for a given level
19 or type of disturbance, and potential changes in food
20 availability and/or quality over the season."

21 Q. Okay. Thank you. And to confirm, these are
22 studies that are still needed; is that correct?

23 A. Correct.

24 Q. Okay. Now the model that you evaluated --
25 excuse me -- the models that you developed, were looking

1 at the energy costs of Eastern North Pacific and Western
2 North Pacific gray whales that migrate 8- to 10,000
3 kilometers; is that correct?

4 A. Correct.

5 Q. And as we talked about earlier, your second
6 paper discussed the mean energy requirements for Western
7 North Pacific whales compared with Eastern North Pacific
8 whales.

9 A. Correct.

10 Q. Right? And I believe you found that a Western
11 North Pacific gray whale requires 9 to 22% more energy
12 compared with an Eastern whale, depending on whether she
13 is pregnant or lactating and where she migrated to breed,
14 whether it was over in Asia or down the west coast of the
15 United States --

16 A. Correct.

17 Q. -- is that correct? Were those differences
18 between Western and Eastern, and then again among the
19 Western North Pacific whales due largely to migration
20 distances?

21 A. They were, yes, in part due to the migration
22 distance. Also due to the metabolic rates of the females
23 at the foraging grounds off of Sakhalin area.

24 Q. Okay. Was the migration distance a large factor
25 in the difference in energy cost?

1 A. We didn't evaluate the proportion of the effect
2 that the different parameters had on the differences of
3 the energetic requirements. We just knew that in our
4 budget, those were the things that were different, the
5 migration distance and some of the energetic costs that
6 they require at the foraging grounds. And so -- yes.

7 Q. What do you mean when you talk about energetic
8 costs at the foraging grounds?

9 A. So we obtained data from respiration rates of
10 females at the different stages, and that's how we
11 evaluated. We transferred the amount of oxygen consumed
12 based on the respiration rate into energy that the animals
13 are consuming based on the oxygen that they're taking in.
14 And so if they have a higher respiration rate, that means
15 that they're consuming more energy. And then, based on
16 that, that's how we determined the energy that they needed
17 to basically live throughout all those phases.

18 And some of the metabolic rates for the females
19 for the western population were higher at the foraging
20 grounds, than the metabolic rates or the respiration rates
21 that we found in the literature for the animals foraging
22 off of the Bering Sea and Chukchi Sea. So -- yeah.

23 Q. So the respiration rate, but then also the
24 migration distance?

25 A. Yeah, the migration distance as well. Because

1 | the longer they spend migrating, then that's going to
2 | input a bigger energy usage for that specific stage of
3 | their life cycle compared to the other population.

4 | Q. And it's fair to say that migrating 10,000
5 | kilometers takes more energy than migrating 8,000
6 | kilometers?

7 | A. Yes.

8 | Q. Okay. So is it also fair to say that migrating
9 | shorter distances would require less energy?

10 | A. So that's the tricky part in the model, and when
11 | we looked at the population that is breeding potentially
12 | or hypothetically in China, we thought that a shorter
13 | migration route would mean that the energetic requirements
14 | were going to be a lot less. But there's a lot of factors
15 | that come into play when estimating those costs, because
16 | the whales, we're assuming that they're foraging in an
17 | area that gets covered with ice and the whales need to
18 | migrate. There's a limited amount of time that they spend
19 | at the foraging grounds, and so there's also a limited
20 | amount of time that they can spend at the breeding grounds
21 | before they need to go back and replenish their energy
22 | stores. So it wasn't that straightforward, just a shorter
23 | migration route will signify a lot less energetic cost
24 | because they can -- they compensate for that time either
25 | at the foraging grounds or at the breeding lagoons, and

1 | that could imply greater metabolic rates or respiration
2 | rate at those different areas, so it could turn into a
3 | greater energy consumption overall.

4 | Q. Okay. If it's a significantly less migration
5 | distance, it would require less energy, though; is that
6 | correct?

7 | A. So that's what I was trying to explain, that it
8 | doesn't quite work that way just by -- because we worked
9 | the budget over a whole year, including the different
10 | stages, like at the migration, at the breeding grounds,
11 | and the foraging grounds. And so, if you reduce the
12 | energy that they require during the migration, for
13 | example, it's a shorter migration route, that means that
14 | the time they don't spend migrating, they will spend it at
15 | the foraging grounds or at the breeding grounds. And
16 | actually, the metabolic rate of the animals when they are
17 | migrating, they are the lowest. So the lowest amount of
18 | energy that they require will be when they're migrating,
19 | if they are migrating at the speed when the cost of
20 | transporting the least. And so it's not -- I guess my
21 | answer it's not that straightforward, that just a shorter
22 | migration distance. But in part, yes, it will -- like if
23 | you have to migrate for longer, then you need --

24 | Q. More energy.

25 | A. -- more energy.

1 MS. IMAKI: Can you pull up 18 at 51.

2 So this -- we can go to the first page if that
3 would be helpful, actually. Sorry, Rachel.

4 BY MS. IMAKI:

5 Q. So this the exhibit that you attached to your
6 declaration. This is Exhibit 18, Sumich 1986. Do you
7 recall this study that you attached?

8 A. Yes.

9 Q. Okay. If you could go to page 51, please.

10 THE COURT: The Sumich study?

11 MS. IMAKI: Yes. Exhibit 18 to Dr. Villegas-
12 Amtmann's declaration, page 51.

13 BY MS. IMAKI:

14 Q. The first sentence on this page, would you
15 please read the first sentence -- or the first two
16 sentences?

17 A. "Summer whales may gain energetic benefit by
18 cutting short their northward migration and foraging in
19 Oregon rather than farther Arctic waters."

20 Q. And the next sentence.

21 A. "Also summer feeding can begin earlier and
22 continue later prior to the southward autumn migration."

23 Q. And, I'm sorry, but one more.

24 A. "This benefit may be particularly crucial for
25 calves and their mothers as pregnant females are the first

1 | to leave the Arctic feeding grounds at the end of summer.”

2 | Q. Okay. Thank you. Do you agree with the overall
3 | general assertion?

4 | A. Yeah, I do.

5 | Q. Okay. Thank you. So it's possible -- I
6 | understand it's more complicated than I was making it out
7 | to seem, but it's possible then that the shorter migration
8 | distance, for example, for the summer whales -- the whales
9 | that summer off the west coast of the United States, the
10 | Pacific Coast Feeding Group, that they require less energy
11 | overall than the whales that would go all the way north to
12 | the northern feeding grounds?

13 | A. Potentially, yes.

14 | Q. Okay.

15 | A. Yes.

16 | Q. Thank you. So, so far we've talked about the
17 | potential for an increased foraging effort and shorter
18 | migration. Are there any other ways that animals could
19 | compensate for energy loss that might be caused by a
20 | disturbance?

21 | A. So foraging elsewhere -- yeah, so I think that
22 | depends on where the disturbance is happening, what the
23 | behavior of the whales might be. So they can compensate
24 | by foraging at other patches, by moving away from the area
25 | and then going back to the area.

1 Yeah, if the disturbance happens where there are
2 no food available, where there are no prey patches, then I
3 believe they couldn't compensate that easily for that
4 energy loss. I would just have to -- yeah.

5 Q. Okay. So it sounds like those are the two main
6 things: increased foraging effort, moving to a different
7 foraging area; potentially shorter migration routes.

8 A. Well, the shorter migration route, I don't know
9 if that could be because they were compensating.

10 Q. Okay.

11 A. Because they -- so I think they have their
12 migratory pattern pretty set, and I don't know if they
13 could compensate by just saying, oh, I'm being disturbed,
14 I'm going to shorten my migration route now. So I believe
15 that those are just the life history patterns of the
16 foraging area that they exploit, that they know that they
17 can find food and those are just the area that the animals
18 are frequenting.

19 Q. Okay. So that sounds a little different than
20 what you were saying earlier, that they may choose to
21 avoid a hunt area.

22 A. Can you put that into context?

23 Q. Well, I'm just trying to understand. Earlier
24 when we were talking about your declaration and reviewing
25 Exhibit 2, you stated that the whales may choose to avoid

1 a certain area -- or choose not to avoid a certain area
2 because they would rather be exposed to the effects of the
3 hunt than change their migration pattern.

4 A. Yeah. So when I was talking about that, I was
5 saying that the whales are on a tight energetic budget.
6 And so, if they are migrating north and they are already
7 at the lower limit of their energy stores, and they have
8 to stop over to replenish that energy at the area where
9 there's a disturbance, what I was saying is that they
10 might not be capable of diverting their migratory routes
11 and spending more energy in that deviation to get to a
12 different foraging area before they replenish their energy
13 stores. So they might just -- they might compromise being
14 disturbed or a disturbance that might happen to their
15 survival if they know that they need to acquire food soon.

16 So that, I think that was the point that I was getting
17 to, that they might not be physiologically capable of
18 saying, I'm going to pass this foraging area right now,
19 I'm just keep going.

20 Q. All right. Okay, specifically with the
21 increased foraging effort, your model didn't put that in
22 as a variable in the model, it didn't account for those
23 variables?

24 A. No.

25 Q. Okay. So turning back to the 4% energy loss you

1 | discussed in your 2015 paper, do we know how much
2 | disturbance would cause this kind of energy loss?

3 | A. That is the tricky part about the model, and the
4 | data that we identify as missing data gaps. And that was
5 | in the interpretation of the 10-day.

6 | Q. Okay.

7 | A. So the 10-day in there were an example if we
8 | knew, if we had those variables to put into the model or
9 | to input into the calculations, if we knew the amount of
10 | food that they consume in a day, and the amount of days
11 | that they are feeding out of the full duration of their
12 | stay at the foraging grounds, then they -- we could start
13 | to put that into -- to link that, to link the number of
14 | days. And also, if we knew the behavioral response of the
15 | animal to a disturbance. So those are some of the lacking
16 | data that we have. Like, if we knew that the animals are
17 | going to behave in this way or this other way when they
18 | are disturbed, if they are just going to stop foraging for
19 | 2 hours but then they're going to resume foraging, or if
20 | they're going to be done foraging for the day, so all of
21 | those are parameters that if we knew, then we can put a
22 | number into, yes, these amount of days they lose this
23 | amount of energy.

24 | So the only thing that we were able to do in our
25 | model because of the lacking data was to give a percentage

1 of the energy loss that would impact in different ways.
2 So if we know what their budget, if we know what the
3 amount of calories that they need to survive and the
4 amount of calories that they need to nurse a calf and to
5 be pregnant and migrate, so we would take how much of that
6 would start compromising the different stages of their
7 life history.

8 So -- yeah, we could only give percentages but
9 not translate that into actual number of days.

10 Q. And so you can't translate into number of days,
11 and in turn can't assign how much disturbance would cause
12 that amount of energy loss, it sounds like?

13 A. Not until we know what behavioral response is to
14 disturbance. So some of those studies -- there are some
15 of those studies already that have shown that they
16 increase the respiration rate and that they increase their
17 swimming speed or that they move away from the area, but
18 there are, I believe, and to my knowledge, there are no
19 studies yet that are showing -- that could link the
20 behavioral response to a physiological effect on the
21 animal, to be able to translate it to this is big enough
22 to affect the whale in that way, or this is a threshold,
23 right, when you disturb them for this many hours, then it
24 could start really affect the whale.

25 So those are the missing -- the unknowns that we

1 | have identified in our studies.

2 | Q. Okay. Thank you. And because we don't have
3 | that data or it hasn't been fully developed to a
4 | sufficient degree that it's useful yet, that's why your
5 | model made all these assumptions; is that correct?

6 | A. Yeah, so we made a lot of assumptions also on
7 | behavioral aspects of the animals because we don't know.
8 | For example, we don't know what the threshold is for body
9 | condition, and that's another one that we weren't able to
10 | put in the model, right? So we know that the whales have
11 | different body conditions and that was one of the
12 | difficulties to translate how skinny the whale has to be
13 | to be like more vulnerable. Or, for example, if they can
14 | store more energy than they need for a particular year,
15 | and sort of have that little bit of leeway of losing
16 | energy.

17 | So some of those assumptions, and the
18 | assumptions also about the foraging, because we knew that
19 | based on the literature that the animals couldn't get
20 | enough of the energy reserves on the particular foraging
21 | patches that they might encounter, so we had to make the
22 | assumption of the foraging, they obtain all the energy at
23 | the foraging ground and other assumptions based on data
24 | that is not quite available or we don't know.

25 | Q. Okay. Thank you so much. I think I understand.

1
2 So I think I know the answer to these questions
3 based on what you've explained just now about the lack of
4 knowledge, but just for the record: Your model doesn't
5 quantify the energy impacts of the Chukotkan hunt on the
6 ENP gray whales?

7 A. My model, no.

8 Q. Correct, your model. And you don't do that in
9 your declaration either?

10 A. No.

11 Q. And similarly, you don't make any predictions
12 about what kind of energy loss the Makah proposed hunt
13 would have on any whales that might be approached or
14 disturbed; is that correct?

15 A. Correct.

16 Q. Okay. So I'd like to review -- we've already
17 reviewed one of these, but a few more of the limitations
18 to your bioenergetic model that you discussed in your
19 paper. Some of this you may have already touched on, but
20 for the record, this is your Exhibit 4 again. It's page
21 178. I believe we already read the first one, but let's
22 just double check.

23 So I think we already read the first one I was
24 hoping to point out, which talks about -- and that's at
25 the bottom of this page in the first column, the

1 | limitations of the bioenergetic model. And we talked the
2 | additional amounts of foods that are needed, correct?

3 | A. Correct.

4 | Q. Okay. So moving on to the next issue, you
5 | talked about the data that was presented by Sychenko 2011,
6 | at the bottom of that page. It starts with the
7 | highlighted, and we'll have to scroll to the next page,
8 | but it starts right there.

9 | A. Um-hum.

10 | Q. And I would like to ask you to read onto the
11 | next page where it explains that whales should be able to
12 | compensate for a disturbance.

13 | A. "Sychenko (2011) reported that Western Gray
14 | Whale forage (including feeding/traveling, feeding, and
15 | mixed behaviors) between 46 and 59% of their time at the
16 | foraging grounds." Keep going?

17 | Q. Yes, please.

18 | A. "Therefore, if we consider that Western Gray
19 | Whales feed a conservative 59% of the time while on the
20 | foraging grounds (which include different behaviors such
21 | as searching for food), they should be capable of
22 | increasing their foraging effort somewhat to compensate
23 | for a disturbance."

24 | Q. Okay. Thank you. Do you still agree with this
25 | statement?

1 A. I do.

2 Q. Okay. So this would suggest that whales may
3 have the ability to protect themselves against disturbance
4 by increasing their foraging effort at the feeding
5 grounds?

6 A. So again, this would depend on some of the
7 unknowns.

8 Q. Sure.

9 A. And the conditions. So --

10 Q. But it's possible?

11 A. It's possible if the foraging patches and the
12 food availability is of the same quality at the beginning
13 and at the end of the season. And so, at -- Carrie just
14 pointed it out in her testimony before, the prey go
15 through a life cycle as well. And so, when they're most
16 energy rich, at the beginning of the foraging season than
17 at the end. And so, the whales, if they can find enough
18 foraging patches with enough quality, they might be able
19 to compensate. But if that energy rich prey resource is
20 available only at the beginning of the season, then that
21 might differ how they compensate. So again, things that
22 we don't really know very much about to be able to say
23 something as a fact.

24 Q. I understand. So similarly, if whales were to
25 feed on their way north, for example, as they move

1 northward and they were to stop over and feed at the
2 Pacific Coast Feeding Group foraging area, that may also
3 help buffer them against any energy loss that would be
4 caused by a disturbance; is that correct?

5 A. Correct.

6 Q. Okay. Towards the end of the column on page 179
7 -- this one is in a couple of different places so it's a
8 little hard to have a succinct quote, but it's in the --

9 MS. IMAKI: Maybe make it just a little bit
10 smaller. Thanks. Just a little bit.

11 BY MS. IMAKI:

12 Q. Maybe you can look at it in your paper as well,
13 but this is where we're looking at. So I am paraphrasing
14 this, but you explain that if the disturbance occurs when
15 whales are spending time on activities not associated with
16 foraging -- so I'm assuming that could be, for example,
17 migrating, then the disturbance may not have as great of
18 an impact on their energy requirements; is that correct?

19 A. Which paragraph is that?

20 Q. So it's within that paragraph, that large
21 highlighted yellow paragraph.

22 A. At the beginning of the second column?

23 Q. It's in the middle of the first column. It's
24 actually more towards the bottom of that column, and part
25 of it is "Alternatively, disturbance later in the season

1 | may not have as great of an impact on their energy
2 | requirements, when the whales appear to spend more time on
3 | activities not associated with foraging."

4 | A. Yeah, so that paragraph there, the context of
5 | the paragraph, we were discussing, based on the current
6 | mitigation strategies for Sakhalin Island.

7 | Q. Okay.

8 | A. And that paragraph was addressing the seismic
9 | surveys for their -- yeah. So when they were going to do
10 | this study, they were saying at the beginning of the
11 | foraging season, and so we were just discussing how the
12 | mitigation strategy would be best implemented if the
13 | disturbance were to happen at the beginning or at the end
14 | of the foraging season. So we basically gave both
15 | scenarios, saying that they wanted to do it at the
16 | beginning when there's less whales present in the area,
17 | and then they we said, yes, but if they do also later in
18 | the season, they might disturb the -- if the individuals
19 | are engaged in other behaviors rather than foraging. So
20 | that was the context of that paragraph there.

21 | Q. Okay. But it does say that when -- there may be
22 | less impact if the whales are doing things other than
23 | foraging. So would that include migration? So if a
24 | disturbance occurred during migration as opposed to while
25 | they're feeding on the grounds, that would be less

1 | impactful energetic-wise because it wouldn't stop them
2 | from feeding?

3 | A. Yeah. Well, these paragraphs was written in
4 | particular at the foraging grounds.

5 | Q. Okay.

6 | A. That whether it would be a greater impact at the
7 | beginning or at the end when they're at the foraging
8 | grounds. If a disturbance happened during migration, I
9 | think there are things to be considered. If it happened
10 | on the northern migration, for example, and it's a whale
11 | that didn't get a lot of energy resources and she's
12 | already in her last energetic -- yeah, in her last like
13 | energy resources before they arrive at the foraging
14 | grounds, and so then there's disturbance that happens
15 | right there, that will be worse or the female will be more
16 | vulnerable than if it happened in a different -- like if
17 | it happens at the foraging grounds, for example. So I
18 | wouldn't necessarily say -- yeah, I think there's a lot of
19 | things that need to be considered.

20 | Q. Many variables.

21 | A. Yeah, yeah.

22 | Q. Okay. That makes sense. Thank you.

23 | A little further down in that paragraph you
24 | state -- the last sentence in that paragraph, "If
25 | disturbance is spatially limited," would you mind reading

1 | that sentence, please?

2 | A. "If disturbance is spatially limited compared to
3 | the entire foraging area, whales may also alleviate some
4 | of the energy loss by moving to other regions within the
5 | foraging area, or a secondary feeding ground."

6 | Q. Okay. Is that still accurate?

7 | A. Yes.

8 | Q. Okay. Are you familiar with the size of the
9 | Makah usual and accustomed hunting area compared with the
10 | entire PCFG range?

11 | A. Not very familiar. You just showed me the
12 | Makah, but I'm not familiar to what proportion it is of
13 | the --

14 | Q. Okay. I'd like to ask to put up NMFS
15 | Demonstrative 1, I believe, which is a map. And you can
16 | see this is -- so this NMFS Demonstrative 1, and the black
17 | dotted line outlines the Pacific Coast Feeding Group
18 | range, so there's the summer foraging grounds for this
19 | group of whales. And you can also see that cutout that's
20 | very small, is the proposed Makah usual and accustomed
21 | feeding area. So based on this and the testimony we heard
22 | earlier this week -- perhaps it was last week, we learned
23 | that the Makah usual and accustomed area is approximately
24 | 4% of the Makah usual and accustomed feeding area.

25 | So if we think about the concept that you talked

1 | about a few minutes ago in your model and apply that to
2 | his situation, do you think this small, limited area
3 | within which the Makah are allowed to hunt would
4 | essentially work as a buffer and allow those whales to
5 | either move maybe within that Makah usual and accustomed
6 | area or even to another 96% of the feeding group range?

7 | A. You mean if they're disturbed within that area?

8 | Q. Yeah, the fact that it's limited, the fact that
9 | the hunt area is limited to only 4% of the foraging area
10 | for these whales, would that act as a buffer for those
11 | whales for any disturbance that might occur within this
12 | area?

13 | A. So again, I don't know if there's information
14 | about the prey quality feed distribution around that whole
15 | area, so I'm not familiar with how would that compare
16 | inside the Makah area to the other area. If that
17 | particular area is a hotspot and has a lot of rich energy
18 | prey, then the whales might be better foraging there than
19 | outside. And so, again, one of those questions that if we
20 | knew, then we would know or we could predict what the
21 | behavior of the animals will be like or how they would be
22 | able to compensate. So it depends on the distribution of
23 | the prey patches and -- yeah.

24 | Q. And did you analyze the distribution of the prey
25 | patches when you submitted your testimony --

1 A. No --

2 Q. -- before you wrote your declaration?

3 A. No, because I believe it's not known what is the
4 distribution of the food resources and the energy of the
5 patches.

6 Q. Okay. If we assume that the prey is equally
7 distributed, would that spatial limitation act as a
8 buffer?

9 A. As a buffer, like getting out of the area and
10 foraging in a different area?

11 Q. Yes.

12 A. Well, yeah, if there's food all over that area
13 and all the food is equally energetically rich and
14 accessible, I mean, at the same depth and it's like a nice
15 hotspot area, yes, they could just move from where they're
16 disturbed if they can find food nearby. Right, why stay
17 here, and they'll just move, yeah.

18 Q. Dr. Villegas-Amtmann, you talk about in your
19 declaration in paragraph 14 that animals that feel, quote,
20 "hemmed in by a perceived a danger will often edge away."
21 Do you recall this statement?

22 A. Yes.

23 Q. Do you expect whales that are approached by a
24 hunt boat to generally move away if they perceive that
25 boat as a danger?

1 A. I would assume so, but I haven't done any
2 studies or observations to sustain the -- yeah, that's a
3 fact, so --

4 Q. Okay.

5 A. Yeah.

6 Q. Is your opinion about the effects of the hunt,
7 is it based at all on any assumptions about the prey
8 distribution within the PCFG range?

9 A. No assumption what the prey distribution is
10 within the range.

11 Q. Okay. We're almost finished. Are you familiar
12 with the International Whaling Commission Scientific
13 Committee?

14 A. Yes.

15 Q. And do you know whether the IWC Scientific
16 Committee has reviewed the hunt management plan proposed
17 by NMFS?

18 A. I don't know.

19 Q. Okay. So you're not aware that they determined
20 that the proposed hunt would meet IWC conversation
21 objectives for Eastern North Pacific, Western North
22 Pacific and PCFG whales; is that correct?

23 A. I'm not particularly familiar with it, but I
24 assume, yeah.

25 MS. IMAKI: Okay. I have no further questions.

1 Thank you.

2 THE COURT: Okay. We will usually -- began our
3 afternoon break. But we'll take our break and then Makah.

4 MR. SOMMERMEYER: Your Honor, I'm sorry, just
5 one thing, Dr. Villegas-Amtmann has a flight at 6:45, and
6 so I think she needs to depart between 4 and 4:30. I
7 don't know how much -- I don't want to limit everybody,
8 but I just wanted to let you know that's a little bit of a
9 constraint. That's the best we could do with flights.

10 MR. GOLDING: That seems like something you
11 should have notified the parties of considering we
12 scheduled Dr. Villegas-Amtmann today special.

13 MR. SOMMERMEYER: I'm terribly sorry.

14 MR. GOLDING: I'll see what we can do, but, you
15 know, if we're not going to leave any issues --

16 MR. SOMMERMEYER: You're also aware of -- yeah,
17 good point. You're also way over your time, so -- I don't
18 know if there's a current time count --

19 THE COURT: Well, again, right now for cross-
20 examination purposes I want to make sure we have a full
21 record.

22 MR. SOMMERMEYER: Right.

23 THE COURT: But why don't we take a 5-minute
24 break and then we'll start.

25 MR. GOLDING: I also -- I likely have between a

1 half hour and an hour of questions. I'm not going to go
2 on --

3 THE COURT: Okay. We'll take about a 5-minute
4 break. We'll take a short break and then we'll be back at
5 that time. They can get ready while that's happening.

6 **(Off the record from 2:46 p.m. to 2:55 p.m.)**

7 **THE COURT: We're back on the record.**

8 **CROSS-EXAMINATION**

9 BY MR. GOLDING:

10 Q. Good afternoon, Dr. Villegas-Amtmann.

11 A. Good afternoon.

12 Q. My name's Wyatt Golding. I'm an attorney for
13 the Makah.

14 You testified that you were retained by Sea
15 Shepherd Conservation Society and Sea Shepherd Legal
16 around June 2019; is that correct?

17 A. Correct.

18 Q. And are you a member of either of those
19 organizations?

20 A. No.

21 Q. Have you ever donated money to either of those
22 organizations?

23 A. Can you say that again, please?

24 Q. Have you ever donated money to either of those
25 organizations?

1 A. No.

2 Q. When you were retained were you aware of the
3 position of those organizations on whaling?

4 A. I did a little bit of research.

5 Q. Okay. I'm going to approach with a few public
6 documents.

7 MR. SOMMERMEYER: Objection. These are the
8 documents you provided about midnight last night, I
9 assume? They are not relevant to the proceeding in any
10 fashion whatsoever. They're purely public postings by Sea
11 Shepherd. We admit we're against whaling. We're biased
12 against whaling. What does it show? And it doesn't have
13 anything to do with the witness.

14 MR. GOLDING: So I would note that Mr. Eubanks
15 has asked every one of our witnesses as to the amount of
16 money they've earned and whether they get a bonus. Just
17 like money ideology can be a bias, Dr. Villegas-Amtmann
18 works for an organization with this ideology. So we
19 should know whether she shares it, what her awareness of
20 it was. And Ms. Pruettt has testified as a lawyer as to
21 this position, so it's only fair that we can explore it.

22 MR. SOMMERMEYER: I'm not concerned about what
23 she'll say about the documents. She's probably never seen
24 them before. But they're just not relevant to anything in
25 this proceedings whatsoever.

1 THE COURT: I haven't seen the document myself,
2 so --

3 MR. SOMMERMEYER: Okay.

4 THE COURT: I can't tell you if it's a document
5 that's relevant or not.

6 MR. SOMMERMEYER: Do you want a chance to review
7 it and then, and rule on whether it's relevant?

8 THE COURT: No.

9 MR. SOMMERMEYER: That's one -- my
10 understanding, that's one of the criteria we have here,
11 one of the evidentiary limitations we have is relevancy
12 and materiality, so --

13 THE COURT: Has she seen these documents --
14 she's seen this in her research?

15 THE WITNESS: No.

16 THE COURT: You did not see -- you didn't look
17 this up at the webpage?

18 THE WITNESS: Oh, this particular --

19 THE COURT: Yeah.

20 THE WITNESS: -- statement here? No.

21 THE COURT: First, you can inquire as to what
22 she knows about the position.

23 MR. GOLDING: Okay.

24 BY MR. GOLDING:

25 Q. So you say you did some internet research. What

1 | did research reveal as to the organization's position?

2 | A. I just briefly looked at the organization's
3 | website and information about them.

4 | Q. And what did you find?

5 | A. Well, that they are a legal organization for the
6 | rights of animals and they are -- yeah, they oppose
7 | killing of whales and -- yes.

8 | Q. So did you understand from your research that
9 | the organizations oppose any killing of any whale for any
10 | reason?

11 | A. Yes.

12 | Q. Okay. And did that inform your decision to work
13 | for the organizations?

14 | A. So they were inquiring my opinion, my expert
15 | opinion on the paper that I wrote relevant to gray whales,
16 | and what I was -- my position was based on that, providing
17 | my expert opinion on the research papers that I wrote of
18 | gray whales.

19 | Q. But their categorical opposition to all whaling
20 | didn't cause you any concern for -- as a scientist working
21 | for them, applying the MMPA?

22 | A. Well, they wanted my opinion, and I wrote the
23 | papers and I have my own opinion as well, and so I
24 | provided -- I agreed to provide them with what I thought
25 | about the research that I have done.

1 Q. And do you agree that any killing of any whale
2 is immoral?

3 A. Could you say that again?

4 Q. Do you agree that any killing of any whale is
5 immoral?

6 A. It's immoral?

7 Q. Yeah. Wrong.

8 A. I personally, I'm a vegetarian so I wouldn't
9 even kill a cow. So I would agree -- not immoral, but I
10 wouldn't do it. So immoral is a different context --
11 yeah, what you define as immoral.

12 Q. Do you think it's wrong for the Makah to
13 exercise a legal treaty right to hunt whales?

14 A. I don't want to judge. I'm not the judge here
15 of what people do or do not. I just want to provide my
16 opinion on the things that I'm familiar with and the
17 studies that I have done, so I don't -- yeah, I can't say.
18 I can't say that.

19 Q. Okay. I'll move on to some more scientific
20 questions. Do you do or have you done field research on
21 gray whales?

22 A. No, not field research.

23 Q. Okay. So no biopsies or surveys on the water?

24 A. Just observations here and there, but not any
25 biopsies.

1 Q. And you've never been to the Makah U&A to do
2 research?

3 A. No.

4 Q. Mr. Scordino and Dr. Weller testified as to
5 response to disturbance from surveys or biopsies, and they
6 characterized that response as ranging from no response to
7 half an hour of disturbance at the maximum. Do you have
8 any evidence to disagree with those assertions?

9 A. No.

10 Q. Now Ms. Imaki covered a lot of your 2015 study,
11 and so I'll -- I'd like to also talk about it and I'll try
12 to focus on different aspects of it.

13 So does the study on the screen -- this is your
14 2015 study?

15 A. Correct.

16 Q. Okay. And on page 2, when you're describing the
17 whales you're referencing, you talk about them foraging in
18 the summer in the Chukchi and Bering Sea, and migrating to
19 the winter breeding grounds in Baja, California and
20 Mexico; is that right?

21 A. Correct.

22 Q. Okay. And so is it fair to say that your model
23 is not focused on what we've been referring to as the PCFG
24 whales, the whales that forage farther south?

25 A. No, they incorporate the foraging grounds at the

1 | Chukchi and Bering Sea, so that whole migratory route from
2 | the Bering to the Baja, California breeding ground.

3 | Q. Okay. But not the southern foraging grounds,
4 | say, Oregon, California, Washington?

5 | A. No. We did not incorporate that. We didn't end
6 | our model energetic estimates based on that end of the
7 | migration route. So our end migration was up to the
8 | Bering Sea and the Chukchi Sea.

9 | Q. Okay. And it's safe to say if you had a
10 | different end migration route, it could impact your model
11 | and the results?

12 | A. Potentially, yes.

13 | Q. Okay. And then, as I understand it, and I know
14 | there's both your model and kind of the application of the
15 | model, and I want to speak strictly to the model. It
16 | applies to female pregnant non-PCFG gray whales, correct?
17 | In this paper.

18 | A. So it is -- in this paper, yes, we talk about
19 | the Eastern North Pacific gray whales.

20 | Q. And I should have -- I jumped ahead. So Ms.
21 | Imaki focused on the 4% energy loss figure that's in
22 | paragraph 10 of your declaration, and I will as well. And
23 | so, specifically for that, the findings as to the 4%, that
24 | pertains to female pregnant foraging ENP non-PCFG gray
25 | whales, correct?

1 A. Correct.

2 Q. Okay.

3 MR. GOLDING: Could you go to Figure 1, please.

4 BY MR. GOLDING:

5 Q. This is Figure 1 Mr. Sommermeyer showed you. Do
6 you recognize this?

7 A. Yes.

8 Q. Okay. And as I understand it, given all those
9 constraints -- we're talking about foraging pregnant
10 whales on their feeding grounds -- that is the time from
11 May to mid-November, and that's the time when the whales
12 are in the Bering and Chukchi Seas, correct?

13 A. Correct.

14 Q. Okay. And then your model assumes -- it just
15 focuses on energy loss while foraging. It doesn't take
16 into account energy loss while migrating, correct?

17 A. So the application of the model is that it could
18 be used -- the energy losses could be used anywhere along
19 the migratory routes or on the breeding grounds. So we --
20 the results were presented as losing foraging opportunity,
21 but because it's an energy, a percentage energy loss, it
22 could be also applied as a percentage energy loss anywhere
23 else along the --

24 Q. Right. That's the application. But as -- in
25 terms of the assumptions of your model and what it focused

1 on, it was energy loss from foraging, correct?

2 A. Correct.

3 Q. Okay. And then you -- so the time when, the
4 only time when a Phase 1 pregnant gray whale would pass
5 through the Makah U&A would be when they're southbound
6 pregnant, correct?

7 A. Their migratory routes north might also include
8 passing through the Makah area.

9 Q. But they wouldn't be pregnant at that time in
10 Phase 1.

11 A. Yeah, so when they're migrating north, they
12 wouldn't be pregnant.

13 Q. Okay. So the only time they'd pass through the
14 Makah U&A pregnant is between mid-November and December in
15 Phase 1; is that correct?

16 A. So -- yeah. Sorry. So the last question, when
17 they are migrating north -- yeah, when they're migrating
18 north, they would be pregnant if they're getting pregnant
19 at the breeding ground. They're migrating north, and so
20 they are pregnant and they arrive pregnant at the foraging
21 grounds.

22 Q. But in your figure that would be in Phase 2, and
23 so not captured by this 4%. Your 4%, as I understood your
24 answer previously, was Phase 1, female, pregnant ENP, non-
25 PCFG gray whales.

1 A. Yes. Yes.

2 Q. Okay. And do you understand that there's --
3 under the proposed hunt plan there's no hunting in
4 November in any year?

5 A. Yes.

6 Q. Okay. And so what we're really talking about in
7 terms of impacts to pregnant gray whales is the month of
8 December. Do you understand that NMFS has assumed that,
9 that is the time of year when it's least likely that there
10 will be training activities, given rough seas, short
11 daylight hours, and cold?

12 A. Can you repeat that again?

13 Q. Do you understand that NMFS has assumed in the
14 DEIS, their evaluation is that the month of December is
15 when there's least likely to be training activities due to
16 short daylight hours, cold weather, and rough seas?

17 A. Yes.

18 Q. Okay. So in terms of the impacts captured or
19 drawn by your 4% figure, they're focused on limited
20 training in November and potential impacts of the hunt in
21 the month of December; is that correct?

22 A. Correct.

23 Q. Okay. And during that time it's safe to say
24 that some of the whales will not be female pregnant gray
25 whales, they'll be male whales and non-pregnant females as

1 well, correct?

2 A. During which time? Sorry.

3 Q. December.

4 A. December -- so if they are southbound -- well,
5 there are southbound females that are pregnant in December
6 and November.

7 Q. Are there other whales as well that may be
8 present?

9 A. What do you mean?

10 Q. So everything else besides female pregnant gray
11 whales.

12 A. Yeah. Well, we focused on the pregnant females,
13 but the timing of migration is different between the males
14 and the -- the pregnant females and the single females.
15 So they migrate a different time. But November and
16 December, they will be migrating south and they will be
17 pregnant going to the lagoons to give birth.

18 So I'm not familiar with the timing of the year
19 that they would particularly be migrating along the Makah
20 coast because this is starting off at the Bering and
21 Chukchi Sea, but their migratory route along there starts
22 mid-November.

23 Q. Okay. And the only time under your model that
24 whales would be in the Makah U&A is when they're
25 migrating, correct?

1 A. The Eastern North Pacific, yes, if they don't
2 forage -- I am not familiar if they do stop and forage at
3 the Makah territory or if they just continue to forage at
4 the Bering and Chukchi Sea. But if they don't stop over,
5 yes, it would be only during the migration.

6 Q. Okay. And that's outside of the assumptions
7 that went into driving the 4% energy loss figure, because
8 you're only looking at foraging times, correct?

9 A. Yeah. So, yeah, assumptions were considering
10 the foraging grounds of the Chukchi and Bering Sea.

11 Q. Okay. Now you responded to Mr. Scordino and you
12 testified with Ms. Imaki with respect to, on page 15 of
13 the study, you posit an example, about 10 days of lost
14 foraging could equate to roughly 5% loss of energy intake.

15 And as I understand your testimony, that's just an
16 example and it had some assumptions, including that whales
17 are foraging all day and that a disturbance would disturb
18 them all day.

19 Now do whales actually forage all day?

20 A. I don't know.

21 Q. Okay. And do you have reason to believe that a
22 disturbance would actually cause them to stop feeding all
23 day?

24 A. I don't know.

25 Q. And as I understand it, you don't have any data

1 or opinion as to whether the degree to which the Makah
2 hunt would cause a disturbance; is that correct?

3 A. Correct.

4 Q. And so, you don't have an opinion as to whether
5 that would be a biologically significant event, as your
6 study --

7 A. There is no data available, so no, not known.

8 Q. Okay. So you don't have an opinion in your
9 direct testimony as to whether the Makah hunt or the
10 training or the approaches will create a biologically
11 meaningful response, do you?

12 A. Correct.

13 Q. I want to briefly discuss your 2017 study. This
14 refers to Western North Pacific whales, compares them to
15 Eastern North Pacific whales. And in general terms, you
16 found that the Western North Pacific whales are more --
17 require more energy because they have a longer migration
18 path and greater metabolic rate, and so are more
19 susceptible to disturbance; is that correct?

20 A. Correct.

21 Q. Okay. Now I believe that your finding was there
22 is an 11% greater amount of energy usage by Western North
23 Pacific whales?

24 A. That sounds about right.

25 Q. Okay. So it strikes me that that's much greater

1 | than the 4% energy loss that you thought would lead to
2 | loss calves with Eastern North Pacific. And so I'm
3 | wondering how you reconcile those two studies? If this
4 | life path of the long migration causes an 11% energy loss,
5 | why isn't that causing widespread population level harm to
6 | WNPs?

7 | A. 11% energy loss?

8 | Q. So you testified that it takes 11% more energy
9 | for WNPs as compared to ENPs; is that right?

10 | A. Correct.

11 | Q. Okay. And so, if you're using 11% more energy,
12 | that's analogous to losing 11% of energy, correct?

13 | A. No.

14 | Q. No. Okay. Why not?

15 | A. So the amount of energy that they -- that it
16 | would impact the western population, instead of being 4%,
17 | it was a 3.-something percent. The 11% is over the whole
18 | energy budget, so the energy for the entire Phase 1 or
19 | Phase 2, for when they're pregnant and to do all the
20 | things they need to do within that year after they
21 | foraged. So that 11% difference in the total amount of
22 | energy, but not the percentage of energy that they would
23 | lose to have an effect on their reproductive rate.

24 | Q. As you understand the stock structure, the
25 | Western North Pacific whales, to the extent they're in the

1 Makah U&A, they would be there while migrating, correct?

2 A. Can you say that again?

3 Q. To the extent Western North Pacific whales are
4 in the Makah U&A, they'd be there while migrating,
5 correct?

6 A. Correct.

7 Q. Not foraging?

8 A. Correct.

9 Q. Okay. And so, like your 2015 model, you assumed
10 that the disturbance that has an effect is disturbance
11 that causes loss of foraging, correct?

12 A. It could be any loss of energy.

13 Q. In your model. Not the application, but the
14 actual model is about loss of foraging, right?

15 A. So the model was -- yeah, so the model was
16 estimated at the foraging ground.

17 Q. Okay.

18 A. But it meant energy loss. And so, we put that
19 as energy loss, 4% energy loss over the whole budget that
20 they had for that year. So that energy loss could mean at
21 the foraging grounds or energy loss that they have to --
22 that use additional energy for, let's say, avoiding a
23 disturbance along the migratory routes. So that is
24 basically the same interpretation that you could use for
25 the model, any energetic loss.

1 Q. But as to what you modeled, the loss was -- you
2 were focused only on loss of foraging?

3 A. Loss of -- energetic loss at the foraging
4 ground.

5 Q. Okay. Thank you.

6 A. So they --

7 Q. That answers my question.

8 A. Yeah.

9 Q. Okay. Now, this is a little bit of a different
10 focus, but you didn't get into the question of why whales
11 would take this extremely long path that appears to put
12 them in somewhat of a disadvantage. Do you have an
13 opinion as to that?

14 A. Can you say that again?

15 Q. Why would whales go all the way across the ocean
16 when it costs so much more energy, these Western North
17 Pacific whales?

18 A. Why do they migrate to the western --

19 Q. To the Mexican breeding lagoons?

20 A. Well, I'm not an expert on how they change their
21 migratory routes or the population through time. The
22 thing that I know, that we were reading about when we were
23 developing the model was that sometime in the past there
24 was a pure western population that was breeding off of the
25 coast of China, somewhere in there, and that would forage

1 | off of Sakhalin. But then there was whaling and the
2 | population was decimated, and they thought the population
3 | was extinct, but then they found a few individuals. Those
4 | individuals, because of potential disturbance or whaling
5 | along the western coast of the Pacific, diverted their
6 | migratory route to find alternative breeding ground, safer
7 | breeding ground, potentially. And so, they -- now they
8 | are migrating down to the Baja, California lagoons to
9 | breed there.

10 | Q. Is one viable hypothesis that you read about,
11 | the idea that the whales migrate from Sakhalin to Mexico
12 | are a western feeding group of the Eastern North Pacific
13 | gray whale stock?

14 | A. You mean that they're not genetically different?
15 | Or can you rephrase your question?

16 | Q. Well, you cited a paper from Dr. Bickham, and I
17 | asked if one viable hypothesis is that the whales that you
18 | studied that migrate from Sakhalin Island to the Mexican
19 | breeding lagoons are a western feeding group of the
20 | Eastern North Pacific stock?

21 | A. My expertise is not the genetics of the
22 | population, but it appears that there are some studies
23 | that have differentiated those two populations
24 | genetically. And so, but there's debate about whether
25 | they are from a different population or from the eastern

1 population. But that's not my expertise area, so I
2 couldn't say.

3 Q. Okay. Returning to your declaration and your
4 opining on the hunting in Russia and Mr. Scordino's
5 testimony, as I understand it your opinion is that the
6 whales in Chukotka may return to those areas because
7 they're high priority foraging ground, correct?

8 A. That's one explanation.

9 Q. Okay. So despite heightened disturbance from
10 whaling, the whales still return because that's where the
11 food is?

12 A. So that's one explanation, but I don't know the
13 real cost of it or I don't have -- like I said in the
14 report, it's not really shown how the population -- the
15 population status or how the population changes throughout
16 the years in the Chukotka area.

17 Q. Earlier today we heard Ms. Newell testify that
18 whales go where the food is, as a general matter. Would
19 you agree with that?

20 A. Yes.

21 Q. Now you have some testimony in your declaration,
22 in paragraph 18 and 21, about the changing environmental
23 conditions. I believe that gives you some concern as to
24 risk from disturbance. And I'm not going to ask about
25 them specifically; I'd reference you to those.

1 I'd like to look to page 15 of your study and
2 your description of gray whales. You cite a paper from
3 Moore and Huntington, and you describe gray whales as one
4 of the most adaptable and versatile of the mysticete, and
5 you say that gray whales have adapted to multiple habitat
6 changes over thousands of years; is that correct?

7 A. Correct.

8 Q. Okay. And in your understanding, how long have
9 gray whales been on the earth?

10 A. I don't have a number on the top of my head, but
11 they are very ancient.

12 Q. Millions of years?

13 A. Probably.

14 Q. Okay. And I believe on page 14 of your study,
15 you referenced them as the oldest extant baleen whale
16 species. You know they survived through at least one ice
17 age and of course the warming thereafter; is that correct?

18 A. Correct.

19 Q. Okay. And earlier we saw a demonstrative from
20 NMFS. I don't think we have to pull it back up, but it
21 stands for the general proposition that the Eastern North
22 Pacific whale, their populations have been growing over
23 time since about the 1950s. Would you agree with that?

24 A. Yes.

25 Q. And would you also agree that there has been

1 | So if you could clarify that, please?

2 | A. Yeah. So I mean the north migration,
3 | particularly. If that area is a stopover for replenishing
4 | their energy stores while they're migrating north -- let's
5 | say they continue to migrate to the Arctic to forage, and
6 | the north migration, the animals will be at the lowest
7 | energetic reserves because they've been fasting for more
8 | than 4 months. And so, at that point, because they're
9 | running low on energy stores, they might not afford to
10 | divert their migratory routes to avoid that area, because
11 | that would impose an extra energetic cost, so they might
12 | just continue in spite of some disturbance.

13 | Q. I got you. And so once they got to the feeding
14 | grounds, for instance, you talked about the possibility
15 | that they might change the area of distribution to avoid
16 | hunting. That wouldn't be considered migration in your
17 | definition either, then?

18 | A. So once they're at the foraging grounds, no that
19 | wouldn't be considered migration.

20 | Q. Okay. And on that same page, paragraph 11, you
21 | talk about the animals in their northward migration will
22 | be in emaciated condition when they reach feeding ground
23 | and will be eager to feed. Do you consider that all
24 | whales that reach Chukotka that -- will be emaciated? Is
25 | this across the board or it varies amongst the

1 individuals?

2 A. So I believe it would vary. It would vary on
3 the individual, like the size of the individual and the
4 amount of energy that that individual was able to acquire
5 on the foraging season prior to that arrival.

6 Q. Okay. And if you could turn over to page 6,
7 please, and paragraph 13, up at the top, the carryover.
8 In the last sentence you cite a study by Williams et al.
9 that relates to killer whales rather than gray whales.
10 And I guess the question, I'll characterize it as to --
11 are you suggesting that behavioral responses of killer
12 whales are indicative or relevant to possible responses by
13 gray whales?

14 A. Yes. I think I used that example as an example
15 of a whale response to vessels or to disturbance. And I
16 should have probably cited one that was particular to gray
17 whales, but that's the one that I found on whales related
18 to disturbance, behavioral responses to disturbance.

19 Q. Oh, but it is possible the two species could
20 respond differently?

21 A. Yeah. Well, it is possible, but, in general, I
22 put that statement there because I had, from hearing and
23 talking to people that are doing research on gray whales,
24 how they also can be disturbed by research vessels or just
25 whale watching vessels in the vicinity. So they do

1 | respond in a similar way.

2 | Q. Okay. Thank you. Then if you could turn to
3 | page 8, paragraph 18 at the top. And you have a critique
4 | of Mr. Scordino's testimony, that he "fails to account for
5 | the energetic costs associated with a greater foraging
6 | range." And here I think you're talking about the overall
7 | range of Eastern North Pacific gray whales; is that
8 | correct?

9 | A. Correct.

10 | Q. Well, you continue on to talk about particularly
11 | in the traditional foraging range where prey are no longer
12 | as abundant as they once were. So here you're talking
13 | about the full range and specifically you talk about gray
14 | whales that feed in and around the Bering Strait and
15 | Chukchi Sea. So you're mostly referring here to gray
16 | whales that migrate on up into Alaska; is that correct?

17 | A. Correct.

18 | Q. So you haven't done any analysis specific to the
19 | Pacific Coast Feeding Group; is that correct?

20 | A. Correct.

21 | Q. So this may or may not apply to them, or how do
22 | you think this would apply to the PCFG?

23 | A. Well, in general, they follow the same migratory
24 | routes. They have the same or similar energetic
25 | requirements. I think they -- it will be a matter of

1 | doing the model with the specific parameters of the stock
2 | in the migratory route in the PCFG area, which is a few
3 | kilometers south than the Chukchi and the Bering Sea. And
4 | so, it would vary by a few numbers, a few like the
5 | percentages, the result. And based on the analysis that
6 | we did the western gray whales and the eastern gray
7 | whales, the numbers weren't that different if you
8 | considered the 3.5 or 3.-something percent versus the 4%.
9 | So it's just a matter of tweaking the numbers, but I think
10 | that the results would be fairly similar.

11 | Q. Even though the gray whales in the PCFG aren't
12 | expending as much as energy in their migratory path as
13 | that --

14 | A. Correct. Because overall migratory path is not
15 | that different. I think there is -- the distance would be
16 | shorter from the PCFG to the Chukchi and Bering Sea than
17 | what is the distance between the Chukchi-Bering Sea with
18 | Sakhalin Island. And the results that we obtained from
19 | those two were fairly comparable. So that distance I feel
20 | is shorter, so I would expect that the results wouldn't be
21 | that much different.

22 | Q. And your -- one last question here on this
23 | paragraph, which is you're talking about reduction in prey
24 | abundance up in the Chukchi Sea and Bering Sea, but that's
25 | not necessarily indicative of similar changes in the PCFG

1 range or in the Makah U&A particularly.

2 A. Well, the changes with the climate change, I'm
3 particularly talking about the abundance and prey
4 availability changes in the Bering and Chukchi Sea, but
5 the climate change could also change the distribution of
6 prey at the different areas. And I think that is one of
7 the unknowns, that we don't know how that environmental
8 change is going to affect the distribution of the prey at
9 the different foraging areas of the gray whales.

10 Q. But your statement here in your testimony that
11 the prey are no longer as abundant as they once were, you
12 were referring specifically --

13 A. Yes.

14 Q. -- to the northern area?

15 A. Correct, to the Chukchi and Bering Sea. Yeah.

16 MR. GOSLINER: Thank you very much. No further
17 questions.

18 THE COURT: You may --

19 **REDIRECT EXAMINATION**

20 BY MR. SOMMERMEYER:

21 Q. Just a couple of questions. Just one quick
22 question on compensation. Do you recall having any
23 conversations with us about stipends, travel costs, hotel
24 costs, meals?

25 A. Yes.

1 Q. Okay. Thank you.

2 A. Yes.

3 Q. Okay. So just quickly to the Chukotkan hunts.
4 Did it matter to your analysis how the hunts were
5 conducted when you looked at the Chukotkan reports?

6 A. To what analysis?

7 Q. So you expressed the opinion those reports
8 didn't have any conclusions as to the effect of the hunts
9 on the gray whales in the area.

10 A. Yes.

11 Q. So did that analysis of those reports depend on
12 how the hunts were conducted?

13 A. How they conducted the hunts to, their reports
14 that they -- no, I don't think that they explicitly said
15 how the hunts were conducted.

16 Q. You were just asked to look to see if there was
17 a conclusion as to whether the hunts affected the gray
18 whales, correct?

19 A. Correct.

20 Q. Yeah. Okay. So based on your expertise in
21 bioenergetics, the PCFG that arrived in the Makah U&A to
22 forage, would face similar energy losses to disturbance
23 as, say, a pregnant ENP whale? Based on your expertise,
24 what's your opinion of that?

25 A. Yeah, that the losses will be similar based on

1 | my energetic model, looking at the differences between the
2 | western population and the eastern. There will be less of
3 | those differences between the PCFG and the Eastern North
4 | Pacific, so I would expect the results to be similar.

5 | Q. Thank you.

6 | THE COURT: All right. Yeah.

7 | **RECROSS-EXAMINATION**

8 | BY MS. IMAKI:

9 | Q. Dr. Villegas-Amtmann, you just stated in your
10 | response to a question that you expected that the energy
11 | loss to a PCFG would compare to the same as a pregnant ENP
12 | gray whale; is that correct?

13 | A. Correct.

14 | Q. But you haven't done that analysis, correct?

15 | A. No, I haven't.

16 | Q. And so it's speculation at this point.

17 | A. Correct.

18 | Q. And you also stated just a bit earlier that you
19 | expected that it might cause a similar difference in
20 | energy loss or energy requirement, the 3% versus 4%, and
21 | then if we compare that with PCFG, might be similar but we
22 | don't know what kind of disturbance would cause a change
23 | in a 3 to 4 or even a 5 or 6% energy loss, correct?

24 | A. Correct.

25 | MS. IMAKI: Okay. Thank you. No further

1 | questions.

2 | THE COURT: Very well. Thank you very much for
3 | your testimony.

4 | **(Witness excused.)**

5 | MS. OWENS: I call myself.

6 | THE COURT: Anything further for -- oh, anything
7 | further for Sea Shepherd?

8 | MR. SOMMERMEYER: No. Sea Shepherd rests.

9 | THE COURT: Okay. Now, ma'am, you may take the
10 | stand. Yep.

11 | (Whereupon,

12 | **MARGARET OWENS**

13 | was called as a witness, and after having been duly sworn,
14 | was examined and testified as follows:)

15 | **DIRECT TESTIMONY**

16 | THE WITNESS: Thank you. She's offered to help
17 | put up a couple of my exhibits.

18 | THE COURT: All right.

19 | THE WITNESS: My name is Margaret Owens, M-a-r-
20 | g-a-r-e-t, O-w-e-n-s. My address is 612 Schmitt Road,
21 | Port Angeles, Washington 98363.

22 | My occupation, for 38 years I've been a clay
23 | sculptor and have a handmade tile business. For 15 years
24 | I served for the curator of a small local history museum
25 | in my small rural community, called Joyce, 50 miles east

1 of Neah Bay. I serve on two Clallam County boards:
2 Crescent Community Advisory Council and Clallam County
3 Heritage Advisory Board, and on Juan de Fuca Scenic Byway
4 Association board. I have trained for oil spill wildlife
5 response and I'll update my Marine Mammal Stranding
6 Network training. I attended the University of Hawaii but
7 have no relevant credentials to report, three good kids,
8 though.

9 I grew up in Brazil and India, my father being
10 assigned to those countries in the 1950s as a U.S. advisor
11 on public health education issues. I came to the Olympic
12 Peninsula in 1973 and have lived here since.

13 I became interested in learning about gray
14 whales in the early 1980s. I was working with clay and
15 needed photos in order to create reasonably realistic gray
16 whales. It wasn't that easy in the '80s; there weren't
17 very good pictures and my whales reflected that and they
18 looked rather turd-like. But I had to keep learning, had
19 to keep -- and pictures became available and so it's been
20 a 40-year quest to make a better gray whale. But
21 perfection is never attainable. I've made hundreds of
22 clay gray whales and I kind of really established my
23 feeling that I knew them and wanted to always know more.
24 So it's been a longstanding preexisting condition with
25 gray whales.

1 I did submit a declaration and rebuttal
2 testimonies, and my lengthy comments to the 2008 and 2015
3 DEISes are in the Reading Room as exhibits. The 2008
4 comments are among Chris Yates' exhibits, and my comments
5 are with my declaration.

6 I do appreciate this chance to outline one more
7 time the local concerns of I would say most of the Olympic
8 Peninsula communities' residents. Our main issues have
9 been the same for many years. Everybody probably is
10 familiar with them: Threats to human life; threats to our
11 local gray whales, both individually and as a viable
12 population; negative impacts to our Strait of Juan de
13 Fuca-Puget Sound ecosystem, which we believe would result
14 from the removal of PCFG and Eastern North Pacific gray
15 whales who feed in this great inland sea, including the
16 small Puget Sounder group. Our other issue, harassment of
17 all the mothers, calves and pregnant females who will
18 migrating through the hunt area, as well as the PCFG
19 mothers who will be nursing and caring for their calves
20 within the hunt area.

21 I'll start with threats to people not involved
22 in the hunt. The group I represent, Peninsula Citizens
23 for the Protection of Whales, has been commenting for
24 almost 20 years on the extreme danger inherent in the use
25 of a .50 caliber rifle close to shore. We first raised

1 | the issue and consulted with an army ballistics expert in
2 | 2001, the year that NMFS decided to allow hunting far
3 | inside the Strait of Juan de Fuca, bringing the rifle well
4 | within the deadly range of the towns of Clallam Bay and
5 | Seiku. Many miles of Highway 112 would also have been
6 | within the danger zone, and the hunting area would have
7 | terminated within the near-shore area of Crescent Bay,
8 | site of a popular county park and campground. The bay is
9 | also a well-known feeding site for gray whales.

10 | After much fuss from incredulous locals, NMFS'
11 | next plan pulled the hunt out of the Strait for safety
12 | reasons. The fact that NMFS even came up with the
13 | original plan, knowing that a .50 caliber round can fly
14 | for 4 to 5 miles, calls into serious question the judgment
15 | and common sense of both co-managers. Their plan to allow
16 | 20 whales to be killed every 5 years, we also felt was
17 | irresponsible, and we felt it would likely have eliminated
18 | our local whales in under 10 years. Local opinion was
19 | that the possibility of a human tragedy did not seem to
20 | either occur to or bother the co-managers.

21 | Now we see a similar situation on the Pacific
22 | Coast. For over 20 years NMFS has neglected to consult
23 | with the Olympic National Park. With 20 years having
24 | passed since the last coastal hunts, several
25 | superintendents have come and gone from Olympic National

1 Park in the interim years of no hunting. Since NMFS has
2 never consulted with Olympic National Park, there is not,
3 never has been, a paper trail at the park to provide
4 incoming superintendents with vital information about how
5 NMFS' evolving whaling plan can impact Olympic National
6 Park, and to understand the park visitor's vulnerability
7 when camping and hiking on the popular Pacific coast
8 beaches during hunting seasons.

9 Locals understand how close the site of the 1999
10 kill was to the beach. When NMFS describes the hunt as
11 taking place in the Pacific Ocean, a mental image is
12 created of a hunt far out to sea. That has not been the
13 case.

14 After years of commenting about this dangerous
15 situation, PCPW did finally get a few responses from NMFS.
16 In Yates' declaration, NMFS Exhibit 1 through 6, page 363,
17 PCPW's recommendation of an offshore hunt to mitigate the
18 .50 caliber's danger to humans is included along with
19 NMFS' response, which is, quote, "We have incorporated the
20 information presented in this comment in the new DEIS 2008
21 to provide a more complete picture of potential impacts to
22 public safety of authorizing a Makah gray whale hunt. In
23 addition, the new DEIS 2015 includes the alternative of an
24 offshore hunt, Alternative 3 (Offshore Hunt), in which we
25 selected the distance from shore, 5 miles, specifically to

1 | avoid the potential for someone on shore to be injured by
2 | a bullet from the hunt," unquote.

3 | But Olympic National Park itself was not aware
4 | of any of this. When Olympic National Park superintendent
5 | was asked by me if they had submitted comments to the 2015
6 | DEIS, the superintendent replied that they had not been
7 | aware of the 2015 DEIS or the comment period or even the
8 | important relevance to Olympic National Park.

9 | In a new comment from Chris Yates in his third
10 | declaration, page 23, "Other Matters," he explained the
11 | NMFS position regarding Olympic National Park thusly,
12 | quote: "Ms. Owens asserts in her declaration that NMFS
13 | must consult with the Olympic National Park regarding the
14 | proposed waiver in regulations. There is no statutory
15 | requirement for NMFS to consult with the Olympic National
16 | Park," unquote. However, NMFS did consult with the
17 | Clallam County Environmental Health, Clallam County
18 | Sheriff's Department, Universidad de Baja California,
19 | Washington State Department of Health, Washington State
20 | Police, among others. That's from the list of preparers
21 | and agencies consulted. Absent from the list, those
22 | responsible for the safety of the people who will be
23 | closest to the actual hunts and in actual danger, the on-
24 | site managers of Olympic National Park.

25 | We here at ground zero find this to be somewhere

1 | between puzzling and unconscionable. If such a hunt
2 | results in human injury or worse, architects of the risky
3 | plan will bear full responsibility. NMFS will need to
4 | explain to the world why they had not kept the .50 caliber
5 | gun with its deadly 4 to 5 mile range at least 5 miles off
6 | the coast.

7 | I'm not here to speak for Olympic National Park,
8 | but park leadership may have strong feelings about park
9 | visitors being placed, without notice from NMFS, in real
10 | danger. Hunt crews voluntarily take the calculated risks
11 | in this dangerous pursuit. Olympic National Park visitors
12 | are involuntarily placed at risk, risks they have not been
13 | warned of.

14 | We appreciate being allowed to raise this issue.
15 | Human safety should always be paramount in any decision
16 | making where risky activities are contemplated. Locally,
17 | safety on the coast is not an abstract concept. The danger
18 | of injury or death pertains to our families and friends as
19 | well as to the great number of park visitors who help keep
20 | the local economy alive each year. New topic:
21 | Threats to the local whales and local ecosystem is kind of
22 | our next topic.

23 | Catherine, if you would put the Salish Sea
24 | picture. We kind of set the stage for this topic. I'm
25 | trying to avoid calling it that, and I've modified my

1 | verbiage, but this is labeled as Salish Sea.

2 | So you can this, inside the black outline, that
3 | large inland sea ecosystem. Separate and really distinct
4 | from the California current ecosystem, but an area that is
5 | highly utilized by PCFGs and ENPs, all in and up and
6 | around. Lot's of feeding areas all around in there. So
7 | we certainly expected it to be analyzed as an impactable
8 | ecosystem in this case.

9 | So I'll launch into first the local whales. Our
10 | concerns about local whales are an emotional topic when
11 | whales return over and over to the same places over long
12 | stretches of time. There is a sense of knowing them.
13 | This may not be Chris Yates' definition of science, but it
14 | is human nature to observe and come to understandings
15 | about nature. It's second nature to people aware of and
16 | interested in their environment. Familiarity breeds
17 | interest, curiosity, caring, and a desire to protect.

18 | You can switch to the Whale Trail, please.

19 | The great majority of residents and visitors to
20 | the regions along the inland waterways of the Strait of
21 | Juan de Fuca and east to Seattle consider every sighting
22 | of any whale to be a spectacular and never to be forgotten
23 | experience. Whales are shared community assets that
24 | provide substantial benefits. Nature in general enhances
25 | our well-being and whales additionally improve the

1 | environment itself.

2 | We believe that the lethal removal of even one
3 | gray whale from our environment is a detriment to we, the
4 | people, and to the environment. The near-shores of the
5 | Strait are the rearing and migratory corridors for a
6 | number of struggling species that are the focus of
7 | federally funded restoration and protection activities.
8 | The gray whales who feed in the Strait of Juan de Fuca
9 | waters and east most of the year are providing valuable
10 | environmental services in the near-shore. They're plowing
11 | and their wastes provide needed nutrients at not cost or
12 | effort to us. Life along the shore would be poorer
13 | without them, for people and fish. This is no time to
14 | willfully harm this delicate struggling environment.

15 | The Whale Trail is an organized placement of
16 | signage at places where whales can be seen from shore. I
17 | proposed the sites on the Strait at gray whale feeding
18 | sites, where, from shore without harassing whales in boats
19 | in any way, you have a chance to see whales from all of
20 | those locations all the way out to the Cape, there's
21 | signage, beautiful signage.

22 | Personally, I have for nearly 40 years watched
23 | for and seen very often the gray whales in our midst.
24 | I've sketched them, painted them, photographed them, and
25 | made hundreds of clay grays. Our kids grew up with the

1 | same sightings and did their own artwork.

2 | With a fisherman, boat captain husband, our
3 | family spent much time on the inland waterways of the
4 | Strait and beyond. Gray whales and orcas were by far the
5 | most frequently seen species in the 1980s and '90s. Just
6 | as we thrilled to see the resident orcas, we also became
7 | aware of the presence of the local gray whales. These
8 | whales have given us decades of joy. We want both groups
9 | so to survive and thrive.

10 | Working and serving on boards in the tourism
11 | industry for nearly 20 years, tells me we are not alone.
12 | The great majority of residents and visitors to the
13 | Olympic Peninsula treasure their encounters with the gray
14 | whales of the inland waters.

15 | The genetic uniqueness of the PCFG portion of
16 | the ENP gray whales increases the importance of these
17 | local whales. Their elimination would eliminate their
18 | unique genetic traits and lineages from the world's
19 | already diminished population of gray whales. We have
20 | always felt that in the event of an arctic oil spill or
21 | food collapse, the Pacific Northwest feeding areas could
22 | be important refuges of survival. The long-held memories
23 | of these feeding areas really should be preserved.

24 | It's well-documented that feeding habitats can
25 | remain abandoned after a sub-population of whales has been

1 | extricated due to whaling, quote, "possibly due to the
2 | loss of cultural memory of that habitat," unquote.
3 | Clapham et al. (2008).

4 | It's not known whether the removal of only 8
5 | female whales every 10 years will leave feeding sites
6 | abandoned along the Strait. The loss of local whales will
7 | leave gaping holes in our environment and in our lives.
8 | The old mother, CRC 175, is remembered sadly by local
9 | people and maybe by her whales friends, too, including a
10 | whale that we adopted in 1999, CRC 178, who was seen over
11 | and over and over again over the years with CR 175.

12 | Next topic: Harassment of pregnant nursing
13 | mothers.

14 | With a near-shore hunt, pregnant whales and
15 | lactating whales will always be in or near the harassment
16 | zone from March through December. I have personal
17 | knowledge of their early arrival, as our family for over
18 | 20 years has spent 3 to 4 days at La Push in mid-April.
19 | I've seen, sketched and photographed the mothers and
20 | calves that arrive in La Push in early spring, and I've
21 | kept many articles that describe the whales' arrival and
22 | document calf sightings beginning in late March and
23 | increasing into April, tapering down in numbers in May. I
24 | have a lot of those clippings in my exhibit.

25 | And I've attended every early spring whale

1 | welcoming ceremony held by the children and elders of the
2 | Quileute Tribe. Many articles are included in my rebuttal
3 | exhibits about the whale welcoming ceremony which
4 | coincides with the early arrival and documents and the
5 | sightings of the mothers and calves in those early months
6 | in La Push.

7 | We must assume that these mothers and calves are
8 | also present in the hunt area in the early days of spring.

9 | It would be inhumane to allow the proposed level of
10 | harassment to be inflicted in the vicinity of these
11 | sensitive animals. It is the success of the mothers and
12 | calves that holds the hope for the future of the gray
13 | whales. With summer food supplies under stress, these
14 | mother gray whales are desperately in need of spring
15 | nourishment at the least expense to their depleted energy
16 | reserves. It's not enough to say the mothers and calves
17 | will not be targeted with harpoons and guns. They must be
18 | given the wide berth that they need to eat, nurse,
19 | communicate with their young, keep calves in the shallower
20 | water that's less conducive to orca attack. They must not
21 | be driven off the nursery grounds.

22 | There's only one sensible solution to all of
23 | these important problems, a robust application of the
24 | precautionary principle adopted by the UN Conference on
25 | Environment and Development. The precautionary principle

1 | urges caution when making decisions about systems that are
2 | not fully understood. It should be applied where risks
3 | are potentially high and not easily calculable. There is
4 | not evidence of adequate caution in the proposed in plans.
5 | It is a high stakes gamble with unknown consequences.

6 | We strongly believe that the current hunt plans
7 | pose high risks to the local whales and environment of the
8 | Strait of Juan de Fuca and connected waterways. The
9 | migrating and resident mothers and calves of the WNP, PCFG
10 | and ENP, and the human men, women and children camping and
11 | hiking in Olympic parks coastal wilderness strip.

12 | If there must be a hunt, take it offshore. We
13 | would not support that hunt, but we believe it would do
14 | less local harm.

15 | Could you put up my last picture?

16 | What we do support are the words and
17 | philosophies of the founder of the Sierra Club, John Muir
18 | --

19 | Langley Whale. It's just a nice picture from
20 | right around here, from right by Langley. Look at that.
21 | Wouldn't that be awesome to be one of those people
22 | standing on that beach? And that's a whale with a name.
23 | They're all known and named. That could be Earhart. You
24 | know, she was the founding mother of this group. She was
25 | the first to come here many, many years ago.

1 So to repeat myself, but I'm almost at the end,
2 what we do support are the words and philosophies of John
3 Muir, founder of the Sierra Club, who said, quote,
4 "Nature's object in making animals might possibly be first
5 of all the happiness of each one of them."

6 Thank you for this opportunity.

7 THE COURT: Very well.

8 MS. OWENS: Humble opportunity to speak for the
9 whales.

10 THE COURT: Are there any questions for Ms.
11 Owens? NMFS?

12 MS. BEALE: We have no questions for Ms. Owens.

13 THE COURT: The Makah?

14 MR. GRUBER: No questions.

15 MS. OWENS: You can. I can take it.

16 THE COURT: For MMC?

17 MS. OWENS: I can, honestly.

18 MR. GOSLINER: No questions.

19 THE COURT: No questions. All right.

20 Well, thank you very much for your testimony.

21 MS. OWENS: Oh, thank you.

22 THE COURT: Okay. About how long will your
23 direct be or -- I know we're going into tomorrow with this
24 one, I guess.

25 MR. GOSLINER: We can definitely get -- we might

1 | be able to get it in today -- we'll hopefully get it
2 | today. I don't know how many questions people have.

3 | THE COURT: Why don't we try. Okay?

4 | MR. GOSLINER: Yeah.

5 | (Whereupon,

6 | **MICHAEL TILLMAN, Ph.D.**

7 | was called as a witness, and after having been duly sworn,
8 | was examined and testified as follows:)

9 | **DIRECT EXAMINATION**

10 | BY MR. GOSLINER:

11 | Q. Good afternoon.

12 | A. Good afternoon.

13 | Q. I'd address you by name but we haven't
14 | introduced you yet. So would you please state your name
15 | for the record?

16 | A. My name is Michael Tillman.

17 | Q. And could you spell your last name, please?

18 | A. T-i-l-l-m-a-n.

19 | Q. Thank you, Dr. Tillman. What is your
20 | occupation?

21 | A. I am one of the three presidentially appointed
22 | commissioners that comprise the Marine Mammal Commission.

23 | Q. And what is your address?

24 | A. 4340 East-West Highway, Bethesda, Maryland.

25 | Q. And that's the commission office, correct?

1 A. That's correct.

2 Q. Thank you. Could you briefly summarize your
3 educational background?

4 A. Yes. I obtained a Ph.D. from the University of
5 Washington in 19--

6 Q. '72, I believe.

7 A. '72. Educational background?

8 Q. Yeah, educational background.

9 A. I'm going to stop there.

10 Q. Okay. And your specialty was as a?

11 A. Oh, I was in fisheries science. Sorry. I
12 wanted to --

13 Q. Okay. Thank you. And could you also describe
14 your employment history and particularly as it relates to
15 activity of the International Whaling Commission?

16 A. I was hired into the National Marine Fisheries
17 Service in 1972. I was hired to be in a -- as a fisheries
18 research scientist, and with a specialty in stock
19 assessment. And I went to work for the Northwestern
20 Alaska Fisheries Science Center, as it was called in those
21 days, and did assessment of commercial fisheries stocks.

22 In 1974, after the Marine Mammal Protection Act
23 was adopted, the Center established a new marine mammal
24 division and I moved there, and undertook stock
25 assessments of the stocks of whales that were being

1 | commercially utilized. And progressing along, I became
2 | the, eventually the deputy director of that division, and
3 | then director of the National Marine Mammal Laboratory,
4 | when it became designated as such.

5 | And, let's see. All through these times, I
6 | started IWC activities. Beginning in 1974, I started
7 | attending the IWC Scientific Committee, and that's where
8 | the assessments I did at that time, North Pacific stocks
9 | of whales, came to the fore. And having served on a
10 | number of committees and other activities for the
11 | Scientific Committee, I eventually became the chair of the
12 | Scientific Committee and served a 3-year term there.

13 | Go back to my career, I eventually became the first
14 | chief scientist in the National Marine Fisheries Service.
15 | That was in 1988. That was followed 2 years later, when
16 | there was a reorganization because of a new director, I
17 | became -- I was asked to be his deputy. So I was a deputy
18 | director of the National Marine Fisheries Service.
19 | Following that, I became the director of the Southwest
20 | Fisheries Science Center. And at that time, that was
21 | 2004, I was appointed the Deputy U.S. Commissioner for the
22 | International Whaling Commission.

23 | So on my retirement in 2004 --

24 | Q. So if you retired in 2004, let me interrupt you.
25 | You were appointed -- yeah, I think you said you were

1 | appointed as deputy commissioner in 2004, you were
2 | appointed deputy.

3 | A. 1994.

4 | Q. Oh, '94. I'm sorry. I --

5 | A. '94. I'm sorry.

6 | Q. Thank you. I'm sorry to interrupt you. I guess
7 | in the interest of moving forward, it's safe to say that
8 | you have a long career with the National Marine Fisheries
9 | Service with considerable experience and specialty in
10 | whaling issues and IWC issues in particular; is that a
11 | fair assessment?

12 | A. I have 30-year career in Fisheries Service and
13 | the majority of which was -- majority to attend IWC
14 | meetings. And after retiring, the Fisheries Service
15 | retained my services to act as a senior advisor to them.
16 | And then in 2010, of course, I was appointed to the
17 | current position I am in. I served on the U.S. delegation
18 | for IWC as a part of my responsibilities. So I have over
19 | 45 years of experience working on IWC matters,
20 | particularly with respect to aboriginal subsistence
21 | whaling.

22 | Q. And could you briefly describe your experience
23 | with aboriginal subsistence whaling in the various
24 | positions you've held within the IWC on that issue?

25 | A. Well, as I said, I was the deputy commissioner

1 of IWC. Prior to that I served as the scientific advisor
2 to the commission or to the delegation. And as a member
3 of the Scientific Committee, served on a number of IWC
4 activities. In particular there were two working --
5 special meetings, working groups that developed the
6 underpinnings for management of aboriginal subsistence
7 whaling.

8 And -- well, let's see. After I -- do you want
9 me to get into my experience with the Makah Tribe?

10 Q. I'll hold that in abeyance, and we'll see if
11 questions come up. But you also served as the chair of
12 the IWC's Aboriginal Subsistence Whaling Working Group; is
13 that --

14 A. Yes. I did that for about 6 years.

15 Q. And so, again, suffice to say you're -- you have
16 a long tenure of experience on this issue and particular
17 expertise in aboriginal subsistence whaling and the
18 history of the ICW's development of management in that
19 area?

20 A. Yes. That's true.

21 Q. Okay. Let's move on from your experience to why
22 you filed testimony. And you were responding to a
23 statement in Mr. Schubert's initial declaration that said
24 -- he stated that, "Although the IWC approved the United
25 States' request for a gray whale catch limit on behalf of

1 | the Makah Tribe in 1997, and four additional times since,
2 | AWI has never concurred with these decisions." And in
3 | your view, is that relevant to this proceeding --

4 | A. No.

5 | Q. -- or to IWC management?

6 | A. No, I don't believe it's particularly relevant.
7 | IWC is the body that makes the decision on whether or not
8 | a given hunt can be aboriginal subsistence on whether the
9 | needs request is satisfactory or not. It doesn't depend
10 | on the views of a particular government or individual. It
11 | really depends upon how government, how the IWC acts upon
12 | a particular proposal. And it does that, either adopts a
13 | provision either by voting on it, which three-quarters
14 | majority is required, or else by adopting it by consensus.
15 | There is a rather protracted attempt to adopt things by
16 | consensus.

17 | Q. And has the IWC made a determination that the
18 | Makah Tribe does have a nutritional subsistence and
19 | cultural need for gray whales and whale products?

20 | A. Well, there's a long history involved with that.
21 | Do you want me to go through that?

22 | Q. It's all in your written statement.

23 | A. Yeah. Okay.

24 | Q. So, yeah, give me the short form answer, please.

25 | A. Well, in 2007, the Makah proposal was submitted

1 as part of Tribe proposal with the Russian Federation.
2 And the Commission -- it was controversial, and there was
3 -- well, as I said, we worked towards consensus, and to
4 get the consensus we needed to have it adopted, and we had
5 to accept some language to the scheduled amendment that
6 said -- well, it was along the lines of whose traditional
7 needs and, you know, something like --

8 Q. I believe the exact language here, from your
9 statement, is whose traditional aboriginal and subsistence
10 needs have been recognized. Was that the --

11 A. Yes.

12 Q. -- does that sound correct?

13 A. That's about right, yeah.

14 Q. Yeah. So, and just --

15 A. So we were -- we had to accept that language in
16 order to get it through by consensus. There was no vote.
17 It was adopted by consensus. But afterwards, the United
18 States understood and believed that that meant that the
19 need had been -- need of the Makah Tribe had been
20 recognized and that the scheduled provision had been
21 adopted.

22 Q. And just to clarify, that was in 1997, correct?

23 A. '97, yeah.

24 Q. Yeah. Okay. And what, if anything, has
25 happened subsequently to clarify -- as you said, there was

1 | some ambiguity over whether or not the Makah's needs had
2 | been recognized. What's happened since 1997 to clarify
3 | that issue?

4 | A. To explain your question, the piece of language
5 | that had to be added to the schedule amendment left some
6 | ambiguity. Some, a few countries believed that it gave
7 | them ability to come back to the topic of whether their
8 | need was legitimate or not. And -- so this was the '97,
9 | so the next -- was 2002, as I recall. It came up again.
10 | But again, it was adopted by consensus, but it had the
11 | same piece of language in the schedule amendment. It's
12 | done by consensus.

13 | And then an unusual thing happened. In 2003,
14 | the Commission appointed a small working group, decided
15 | that the various schedule amendments pertaining to
16 | aboriginal subsistence whaling, the various hunts, if you
17 | will -- not hunts -- the various stocks that were under
18 | the aboriginal subsistence whaling regime had different
19 | language in them and there was a desire to bring it into
20 | consistency. So that working group did that and referred
21 | it out in 2004. And amongst the things they did was to
22 | propose that the -- that piece of language be dropped.

23 | And that was discussed by the Commission. The
24 | United States view that was expressed was that a -- two
25 | points. I mean, it was the government to submit the

1 needs, decide upon the need and submit it. And then it
2 was then up to the Commission to determine if that was
3 adequate or not. Anyway, the arguments, we carried the
4 day and that language was dropped and it has never
5 reemerged since in any rules since that time.

6 So our view is that the -- there is no question
7 about the legitimacy of this schedule amendment. And the
8 Makah Tribe meets the requirements of the aboriginal
9 subsistence whaling procedure.

10 Q. And IWC has since that time adopted additional
11 gray whale catch limits?

12 A. Yes. In 2007, 2012, and 2018.

13 Q. And have any of those schedule amendments
14 returned to that preexisting language?

15 A. No. As I said, none of them -- no, that
16 language was completely dropped in 2007.

17 Q. Okay.

18 A. In 2004.

19 Q. And in the context of this proceeding, why is
20 this a relevant issue, that we're even talking about it
21 here?

22 A. Well, it has to do with the requirements for a
23 waiver. This one of the requirements, is whether the
24 waiver of the regulations follow, are in accordance with
25 the International Convention for the Regulation of Whaling

1 in the way the International Whaling Commission implements
2 the aboriginal subsistence whaling procedure by its belief
3 upon history that I present in my testimony. It is quite
4 clear that the waiver is in order.

5 Q. Okay. Thank you. Here's something that came up
6 today. In your testimony you discuss past efforts to
7 secure gray whale catches and talked a little bit about
8 Alaskan natives and activities in the 1970s and '80s; is
9 that correct?

10 A. Yes.

11 Q. And, but you didn't say anything about the
12 hunting methods that were used. Is that also correct?

13 A. In my testimony?

14 Q. In your testimony.

15 A. No.

16 Q. So you disagree kind of with the
17 characterization that was made earlier today, that you did
18 talk about hunting methods?

19 A. Yes. I disagree with that. I haven't talked
20 about hunting methods at all.

21 Q. Okay. Thank you. And then I'll call your
22 attention, and unfortunately the Commission doesn't have
23 an exhibit to put up, but this came up yesterday, and this
24 is an exhibit that all the parties have. It's the letter
25 that the Commission wrote under its responsibilities under

1 Section 103(d), and this is the letter dated 11 July 2017,
2 where the Commission provided its advice to the National
3 Marine Fisheries Service. And the quote that was used
4 yesterday, and has been used elsewhere in this proceeding,
5 and this is the third paragraph of that letter, and it
6 says: "Our overall impression" -- our being the
7 Commission -- "Our overall impression is that the draft
8 regulations are based on the best available science
9 concerning gray whales and are appropriately
10 precautionary."

11 I don't need to ask you a question. That's what
12 this says. But does the Commission letter say anything
13 else that's relevant on this point?

14 A. Well, that was the conclusion. I'm not sure
15 what --

16 Q. Well, specifically, the -- well, I'll ask you
17 this or just enter it into the record. The letter then
18 goes on to say: "The Commission believes the draft
19 documents lay out a prima facie case that the requirements
20 for granting a waiver under the MMPA have been met and
21 recommends that NMFS proceed with issuing a proposed rule
22 and scheduling an administrative hearing." So, again,
23 that's just a recitation. So --

24 A. Hence the Commission did that.

25 Q. Yeah.

1 A. In consultation with its committee scientific
2 advisor.

3 Q. So, in reading those two sentences together,
4 would you agree that what the Commission was trying to say
5 in that letter, and you being a commissioner or one of the
6 decision makers, the Commission was trying to say, yes, we
7 think your initial case is sufficient in terms of the best
8 available science and the precautionary nature to go
9 forward with this proceeding?

10 A. That's correct.

11 Q. Okay.

12 A. To get these proceedings.

13 Q. But that's not -- doesn't mean that the
14 Commission has the opportunity to amend that depending
15 upon what it hears at this hearing or in the briefs. That
16 occurred --when we made this statement, you hadn't seen
17 any of the arguments from other parties; is that correct?

18 A. That's correct.

19 Q. So this is kind of a moving -- potentially
20 moving target and an open question; is that also a fair
21 characterization?

22 A. That's correct.

23 Q. Okay. And then the Commission presumably will
24 be reviewing this initial assessment as it reviews the
25 record and briefs the issues in the future; is that also a

1 correct statement?

2 A. That's correct.

3 Q. Just one other thing is that you are, as you
4 said, one of three commissioners, I believe you stated
5 that?

6 A. Yes.

7 Q. And how are Commission decisions like set forth
8 in the record, the letter that I just read, how are those
9 decisions made?

10 A. Well, we come to a consensus.

11 Q. We came -- we being the three --

12 A. In each level we take a count. We take a count
13 of the Committee's scientific advisors might have to say
14 on a particular issue. And this is how -- we come to a
15 decision based -- well, I was going to say consensually.

16 Q. But there's a consensus among the three
17 commissioners?

18 A. Yes.

19 Q. You are the presidentially appointed people
20 responsible for making the decisions.

21 A. Yes.

22 Q. So would you -- so presumably you would not be
23 in a position to speak for the Commission at this
24 proceeding absent consulting with the commissioners and
25 consulting with the Committee of Scientific Advisors, as

1 A. In the world.

2 Q. Is the advice of the Scientific Committee an
3 important factor in the positions taken by the United
4 States at the IWC?

5 A. Yes, it is.

6 Q. And did the U.S. delegation consider the
7 Scientific Committee's advice regarding the proposed Makah
8 hunt management plan prior to the 2018 IWC meeting where
9 the gray whale catch limit amendment was proposed?

10 A. Oh, yes.

11 Q. And regarding the gray whale caps limit proposal
12 at that meeting, did the United States and Russia jointly
13 request an increase from an average 124 whales per year to
14 an average of 140 whales per year?

15 A. Yes.

16 Q. Do you recall the reason for that requested
17 increase?

18 A. It was primarily to accommodate the Russian
19 Federation.

20 Q. And any particular reason that the Russians had
21 provided?

22 A. Well, my recollection is it had to do with the
23 problem they called the stinky whale problem. You know,
24 to accommodate their problem. Let me explain that. Some
25 of the whales they catch have an odor that makes them non-

1 palatable. And it's a small number, but nonetheless they
2 wanted a way to accommodate that, and that's why the
3 number went up.

4 Q. Did they also explain that they had an increase
5 in need?

6 A. Oh, yeah. They continued to express that the
7 hearing. I mean, you know --

8 Q. Was the joint request by the Russian Federation
9 and the United States approved by the Commission at that
10 meeting?

11 A. Yes.

12 Q. And that increased catch limit applies for a 7-
13 year block from 2019 through 2025?

14 A. Yes.

15 Q. Do you have any reason to doubt that the
16 Chukotkans -- doubt the Chukotkan hunters' statement of an
17 increase in need or other reasons for that increase?

18 A. No.

19 Q. Do you have a general familiarity with the
20 Russian Federation's hunt by the Chukotkan natives?

21 A. Yes.

22 Q. Based on your familiarity with that hunt, do you
23 have any reason to doubt that the Chukotkan hunters have
24 the capability to hunt up to 140 whales per year?

25 A. Yes, I believe they could. In fact, they would

1 | like to have a larger catch limit than that.

2 | Q. Even larger than 140?

3 | A. Yes.

4 | Q. Do you think that it's likely that the Chukotkan
5 | natives will expand their hunt to utilize the larger
6 | number of whales approved by the IWC?

7 | A. I'm not -- I don't know what they'll do. They
8 | have the capability to take more than 124 whales. I know
9 | that.

10 | MR. GRUBER: Thank you very much for your
11 | testimony, Dr. Tillman. No further questions.

12 | THE COURT: All right. Sea Shepherd? Or AWI?

13 | MR. EUBANKS: We're just conferring. One
14 | moment.

15 | MS. PRUETT: We won't be asking any questions.

16 | THE COURT: No questions?

17 | MS. OWENS: I will. If I --

18 | **CROSS-EXAMINATION**

19 | BY MS. OWENS:

20 | Q. Sir, believe me, I barely feel that I should
21 | even be asking you any questions, but I did meet you in
22 | early 2000. You probably don't remember.

23 | A. Yes, I remember.

24 | Q. Oh, you do remember?

25 | A. Oh, yeah.

1 Q. Okay.

2 A. I was out in Port Angeles.

3 Q. It was. We appreciated you taking the time.

4 A few questions to tap your IWC knowledge.

5 Could you just briefly the explain the need satisfaction
6 factor used by the IWC in deciding aboriginal subsistence
7 quotas, and basically whether it was part of this quota
8 decision most recently in the Makah whaling request? The
9 need satisfaction factor.

10 A. I'm not sure I follow what you're saying. Each
11 country submits on behalf of its -- I'll explain it like
12 this. Each country submits on behalf of its hunter group,
13 native hunter group, a statement as to what the estimated
14 need is. That need is apparently -- the government
15 depends upon the hunter group to develop that estimate and
16 present it to the government, and then he presents it to
17 the IWC on its on behalf. In the case of the Makah Tribe,
18 it's based on five whales, which is in accord with one in
19 each of the five historic whaling villages.

20 Q. Yes. I do understand that. I think I'll quote
21 something had the question come to my mind. So, "The
22 Scientific Committee generally endorses the plan that best
23 satisfies the need requirements, even if another
24 management plan is more conservative, i.e., causes less
25 depletion of the relevant population."

1 And what I was reading was describing that as
2 the need satisfaction factor. But it's -- we can go past
3 that. I know about the need statements, but I'll --

4 A. I don't know where that statement came from.

5 Q. Okay. We'll go on from that. In Yates' fourth
6 declaration, page 4, there's kind of a gray area that's
7 identified that's bothering me. And I'll quote it: "If
8 NMFS were to determine that a single Western North Pacific
9 gray whale were struck or killed during a tribal hunt, all
10 hunting would cease, unless and until," quote, "additional
11 measures" -- well, my quote -- "were imposed to prevent
12 such an event from recurring."

13 So this is a very vague spot in the plan, and I
14 know you can't tell me a decision, but I'm just wondering
15 if you have any thoughts on how that would be resolved?
16 What additional measures would be imposed to make sure
17 another western whale wasn't killed?

18 A. I couldn't say.

19 Q. I'm speculating. I mean, what comes to my mind
20 would be an increase in the PCFG allowed takes, and I'm
21 hoping that's not the case.

22 A. Well, that's your view. I don't --

23 Q. That is my view.

24 A. Okay. They'd have to develop whatever the plan
25 is that they have and various agencies and entities would

1 have to take a look at it and decide whether it was
2 reasonable or not.

3 Q. It's so vague that it does concern me.

4 MS. BEALE: Just for the record, Your Honor, I'd
5 like to note that this question perhaps is being directed
6 to the wrong witness --

7 MS. OWENS: Well, as advisors. You know, I was
8 wondering if already knew what the advice would be on
9 that.

10 THE WITNESS: No, we're not --

11 BY MS. OWENS:

12 Q. Okay. I'll just move quickly to -- and I'll
13 just cut this to be my last one. I understand it's part
14 of the MMC job description, is to advise the Executive
15 Branch on marine mammal issues. Could describe what
16 consultations have been done with the current
17 administration on this issue? You know, are they aware of
18 it? Do they have opinion? Are they following this? I
19 know we are just the other hearing going on, but just
20 briefly what is the Executive Branch feedback to you on
21 this?

22 A. Well, we've consulted with NOAA and the State
23 Department. Those are the two major agencies that we deal
24 with this on this issue.

25 Q. So not with per se the White House?

1 A. No.

2 Q. As a presidentially designated committee?

3 A. No.

4 Q. Okay. That's probably good. Okay. I'll throw
5 one more question.

6 MS. OWENS: Does anybody else have a question? I
7 don't want to -- okay.

8 BY MS. OWENS:

9 Q. One more. I've read a little bit about the CIE,
10 the Center for Independent Experts, and I know that
11 they're an independent group that sometimes weighs in, you
12 know, on scientific issues for NOAA, maybe -- I think I've
13 read that they consulted on the Cook Inlet beluga
14 problems. What with the stalemate in the stock
15 designation issue -- do you think they were consulted or
16 should be consulted? Or why wouldn't they be consulted?

17 A. What stalemate? What stalemate are you talking
18 about?

19 Q. Well, the equivocal ambiguity of whether the
20 PCFG should be designated as stock or not designated as a
21 stock. Chris Yates described it as equivocal, which kind
22 of tells me, you know, 50/50. What breaks that stalemate?

23 And I wondered why the Center for Independent Experts
24 wasn't called in?

25 Because I can read you their mission statement,

1 | which is they were established by NOAA, quote, "to
2 | routinely provide external, independent and expert reviews
3 | of the agency's influential science used for policy
4 | decisions. It satisfies peer-review standards. CIE is a
5 | proven process that strengthens equality and credibility
6 | of the agency's science and improves stakeholders' trust
7 | that the agency is basing policy decisions on the best
8 | scientific information available." It sounds
9 | like a custom-made problem for the CIE.

10 | MR. GOSLINER: Again, I think she's asking the
11 | wrong witness. She says this is something that NOAA does.
12 | I guess she could ask this witness if the Commission
13 | considered recommending that NOAA avail itself of this
14 | process.

15 | MS. OWENS: I just think Dr. Tillman would know
16 | everything. The God of knowledge.

17 | BY MS. OWENS:

18 | Q. You know, but you're not the right person to
19 | ask, but --

20 | A. Irrespective of whether I know everything, I
21 | have to work with other people in this room determining
22 | what our position is and what we're going to do about it.
23 | And we have a Committee of Scientific Advisors that we
24 | have great trust in and they are the body we utilize in
25 | most of our -- virtually all of our decisions.

1 MS. OWENS: Okay. Thank you very much.

2 THE COURT: Anything from AWI?

3 MR. EUBANKS: No questions, Your Honor.

4 THE COURT: And --

5 UNIDENTIFIED SPEAKER: No questions.

6 THE COURT: No questions? Okay.

7 Thank you, sir. You may --

8 **(Witness excused.)**

9 THE COURT: Is there any more evidence to come
10 in? Does NOAA need -- is NOAA going to -- is NMFS going
11 to be putting in any rebuttal or any other evidence?

12 MS. BEALE: No, we rest our case.

13 THE COURT: In order to finalize everything, do
14 we want to meet tomorrow to make sure we've got everything
15 -- I also want to make sure we have some evidence, some
16 information in the record concerning your motion
17 concerning the amendment to the regs. And can we deal
18 with that tomorrow? I know people -- I know everyone's
19 getting ready to get out tonight. But we have to -- I
20 want to ask the parties about make sure we've got the time
21 for when we'll be putting out the transcript and allowing
22 public comment and allowing the briefing. And I just
23 wanted to go over some of the rule issues. And I don't
24 know if we've got time to do that tonight.

25 MS. BEALE: Your Honor, do you propose that the

1 witnesses also be present or would that be just for --

2 THE COURT: The witnesses don't have to be. I
3 think right now we're at the point here where if we can
4 just meet to make sure we have -- that everyone's on the
5 same page as to the next procedures so we can move this
6 along quickly. So do you want to meet tomorrow again at 9
7 or be able to finalize everything?

8 MS. BEALE: Sure.

9 THE COURT: Okay. So I thank you. We got all
10 the evidence in. We'll have a hopefully about a half hour
11 session in the morning, and everyone can get home. Okay.

12

13 Thank you. We're in recess.

14 **(Whereupon, at 4:39 p.m., the hearing in the**
15 **above-referenced matter was recessed, to reconvene,**
16 **Thursday, November 21, 2019, at 9:00 a.m.)**

17

CERTIFICATION


This certificate is valid only for a transcript accompanied by my original signature required on this page.

I hereby certify that the proceedings in the matter of Proposed Waiver and Regulations Governing the Taking of Eastern North Pacific Gray Whales by the Makah Tribe, Docket No. 19-NMFS-0001, heard on Wednesday, November 20, 2019, before the Honorable George J. Jordan, Administrative Law Judge, were recorded by means of audiotape.

I further certify that, to the best of my knowledge and belief, page numbers one to two hundred forty-three constitute a complete and accurate transcript of the proceedings as transcribed by me.

I further certify that I am neither a relative to nor an employee of any attorney or party herein, and that I have no interest in the outcome of this case.

In witness whereof, I have affixed my signature this 16th day of December, 2019.



Kay Maurer
Transcriber

CERTIFICATION

This certificate is valid only for a transcript accompanied by my original signature required on this page.

I hereby certify that the proceedings in the matter of National Oceanographic and Atmospheric Administration, Docket number 19-NMFS-0001, hearing heard on Wednesday, November 20, 2019, before the Honorable George J. Jordan, were recorded by means of audiotape.

I further certify that, to the best of my knowledge and belief, page numbers one to two hundred forty-five constitute a complete and accurate transcript of the proceedings as proofed/corrected by me.

I further certify that I am neither a relative to nor an employee of any attorney or party herein, and that I have no interest in the outcome of this case.

In witness whereof, I have affixed my signature this 21th day of January, 2020.

Sally S. Gessner

Sally S. Gessner, CER
Certified Electronic Court Reporter